

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

U.S. ENVIRONMENTAL PROTECTION AGENCY

PESTICIDE PROGRAM DIALOGUE COMMITTEE MEETING

Wednesday, May 25, 2022

11:00 a.m.

DAY 1

## 1 PESTICIDE PROGRAM DIALOGUE COMMITTEE ROSTER

2 May 2022

3 NAME

AFFILIATION

4 User/Grower Groups/ Farmer Representatives

5 Amy Asmus

Weed Science Society of  
6 America

7 Jim Fredericks

National Pest Management  
8 Association

9 Mark Johnson

Golf Course Superintendents  
10 Association of America

11 Patrick Johnson

National Cotton Council

12 Dominic LaJoie

National Potato Council

13 Lauren Lurkins

Illinois Farm Bureau

14 Tim Lust

National Sorghum Producers

15 Bob Mann

National Association of  
16 Landscape Professionals

17 Gary Prescher

National Corn Growers  
18 Association

19 Caleb Ragland

National Soybean Association

20 Damon Reabe

National Agricultural  
21 Aviation Association

22 John Wise

IR-4 Project

23

24

25

1	NAME	AFFILIATION
2	Environmental/ Public Interest/ Animal Welfare Groups	
3	Nathan Donley	Center for Biological
4		Diversity
5	Jessica Ponder	Physicians Committee for
6		Responsible Medicine
7	David Shaw	Mississippi State University
8	Alexis Temkin	Environmental Working Group
9		Alternatives to Pesticides
10		
11	Farmworker Representatives	
12	Becca Berkey	Community-Engaged Teaching
13		and Research Program
14		Northeastern University
15	Lauren Dana	Legal Aid Chicago
16	Mayra Reiter	Farmworker Justice
17	Mily Treviño-Sauceda	Alianza Nacional de
18		Campesinas, Inc.
19		
20	Public Health Representatives	
21	Joseph Grzywacz	Department of Family and
22		Child Sciences Florida State
23		University
24	Aaron Lloyd	Lee County Mosquito Control
25		District

1	NAME	AFFILIATION
2	Marc Lame	Indiana University's O'Neill
3		School of Public and
4		Environmental Affairs
5		
6	Chemical and Biopesticides Industry/Trade	
7	Associations	
8	Manojit Basu	CropLife America
9	Steven Bennett	Household and Commercial
10		Products Association
11	Lisa Dreilinger	Reckitt Benckiser
12	Keith Jones	Biological Products Industry
13		Alliance
14	Karen Reardon	RISE, Responsible Industry
15		for a Sound Environment
16	Charlotte Sanson	ADAMA
17	Anastasia Swearingen	American Chemistry Council
18		
19	State/Local/Tribal Government	
20	Jasmine Brown	Tribal Pesticide Program
21		Council
22	Dawn Gouge	Arizona Experiment Station
23		University of Arizona
24		
25		

1	NAME	AFFILIATION
2	Megan Patterson	Maine Department of
3		Agriculture, Conservation
4		and Forestry
5	Dave Tamayo	County of Sacramento
6		Department of Water
7		Resources
8	Wendy Sue Wheeler	Pesticide Resources and
9		Education Program,
10		Washington State University
11		
12	Federal Agencies	
13	Walter Alarcon	National Institute for
14		Occupational Safety and
15		Health Centers for Disease
16		Control and Prevention
17	Cameron Douglas	Office of Pest Management
18		Policy, US Department of
19		Agriculture
20	Charlotte Liang	Division of Plant Products
21		and Beverages, US Food and
22		Drug Administration
23	Ed Messina (Chair)	Office of Pesticide Programs
24		Environmental Protection
25		Agency

1	NAME	AFFILIATION
2	Cathy Tortorici	Endangered Species Act
3		Interagency Cooperation
4		Division
5		National Oceanic and
6		Atmospheric Agency

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

## 1 P R O C E E D I N G S

2 DAY ONE - MAY 25, 2022

## 3 MEETING WELCOME

4 DANNY GIDDINGS: Hello, everyone, and  
5 welcome to Day 1 of the Pesticide Program Dialogue  
6 Committee' May meeting. A warm welcome to members  
7 of the public, PPDC members, workgroup members, and  
8 EPA and other agency staff.

9 My name is Danny Giddings. I'm Special  
10 Assistant to the Assistant Administrator for the  
11 Office of Chemical Safety and Pollution Prevention  
12 at EPA, and I'll be your moderator for the next  
13 couple of days.

14 In just a moment, I'll pass it over to EPA  
15 Director of the Office of Pesticide Programs and  
16 Chair of the PPDC, Ed Messina, to officially open  
17 the meeting. But before I do, I want to go over  
18 some quick housekeeping items. As we're all  
19 accustomed to by now, this meeting is being held  
20 virtually over Zoom for Government. And I want to  
21 draw your attention to the interpretation button on  
22 the bottom panel of your Zoom window to the right of  
23 your screen.

24 We want you to know that we've heard your  
25 feedback and request for Spanish language

1 interpretation and we're providing Spanish  
2 interpretation for this meeting. Regardless of your  
3 preferred language, you do need to click on that  
4 button and select either English or Spanish and mute  
5 original audio to be able to fully participate in  
6 the meeting. Again, please select either English or  
7 Spanish and mute original audio to be able to fully  
8 participate in the meeting. This will place you in  
9 either the Spanish or English channel, and as we  
10 anticipate a bilingual meeting today, it is  
11 important that you choose one of these channels.

12 For our Spanish-speaking colleagues, I  
13 will now turn it over to our interpreter Jacqueline,  
14 who will provide these instructions in Spanish.

15 Jacqueline?

16 (Instructions provided in Spanish.)

17 ZOOM SUPPORT: Okay, this is Zoom Support.  
18 I have enabled the interpretation channel. We had  
19 to listen to Jacqueline before I could engage that.  
20 At the bottom of your screen, you will see your  
21 controls and as you move your mouse, you'll see one  
22 for interpretation. If you have a smaller screen,  
23 you may have to select "more" in order to see the  
24 interpretation channel choices. Thank you for your  
25 understanding and your patience.



1           DANNY GIDDINGS: Thank you, Jacqueline,  
2           and thank you, Troy.

3           I'm going to give everyone just a second  
4           to get in the correct channel for your language  
5           preference. And while we do that, I do want to  
6           remind people that if you are a member of the public  
7           joining us today, unless you indicated interest in  
8           providing oral comments when you registered for  
9           today's public meeting, you will be in listening  
10          mode for the duration of the event.

11          You may still email Shannon Jewell at J-E-  
12          W-E-L-L.Shannon -- S-H-A-N-N-O-N -- @epa.gov or use  
13          the Q&A function within Zoom to indicate that you'd  
14          like to provide public comment at the end of the  
15          day. We'll do our best to recognize you during the  
16          public comment sessions at the end of each day and  
17          after we recognize those who signed up to make  
18          public comments in advance.

19          And again, you can let us know that you  
20          would like to provide public comment by emailing  
21          Shannon Jewell at J-E-W-E-L-L.S-H-A-N-N-O-N@epa.gov  
22          or use the Q&A function within Zoom.

23          Our PPDC and workgroup co-chairs -- our  
24          PPDC members and workgroup co-chairs are designated  
25          as panelists in Zoom, meaning that they can request

1 to be recognized during the discussion sessions by  
2 using the raise hand function and can unmute  
3 themselves and activate their webcams after being  
4 called upon. We do have around 50 panelists during  
5 the meeting, including PPDC and workgroup members,  
6 as well as EPA staff, which means it's very, very  
7 important that you remain muted with your webcam off  
8 unless you're recognized to speak.

9 We do recommend using Zoom's side-by-side  
10 gallery view to see the speaker and content that  
11 we're sharing simultaneously. To do so, click on  
12 the view button at the top right corner of your Zoom  
13 screen and choose side-by-side gallery. This should  
14 split your screen with your presentation on the left  
15 and multiple speakers on the right. You can adjust  
16 the size of the left and right sides of the screen  
17 by hovering your mouse near the center of the screen  
18 and sliding the arrow to the right or left.

19 And, Shannon, we should be on slide 6 as I  
20 say this next part.

21 As I said before, you can join us live on  
22 zoom, which is the preferred method, if you plan on  
23 offering remarks, or if you need Spanish or English  
24 interpretation, or you can connect to this meeting  
25 by phone using the dial-in 646-828-7666, meeting ID

1 1603096189. Again, that is dial-in number  
2 646-828-7666, meeting ID 1603096189, and those  
3 numbers should be displayed up on the screen.

4 If you have any issues connecting to Zoom  
5 or navigating the Zoom platform, you can receive  
6 assistance from EPA IT specialists by calling our  
7 help desk at 866-411-4372, or email your request to  
8 EISD@epa.gov. You may also use the Q&A function to  
9 privately troubleshoot any technical issues to  
10 meeting organizers.

11 Closed captioning and live transcription  
12 is available to those who use the service by  
13 clicking the closed captioning button in the bottom  
14 panel of your Zoom screen.

15 Today's meeting is being recorded for the  
16 purpose of having meeting transcripts produced.  
17 Because we are recording and because we have  
18 multiple types of live interpretation happening for  
19 today's meeting, we do ask that all presenters speak  
20 slowly and clearly to ensure that everyone can  
21 understand and participate fully in the meeting.

22 Finally, as I recognize members of the  
23 PPDC and public for comments, I will do my best to  
24 correctly pronounce all your names, but I do  
25 apologize ahead of time if I mispronounce your name,

1 and I do ask that you please correct me in the case  
2 that I do.

3 Please note the materials for the meeting  
4 can be viewed on the PPDC website. The link for the  
5 materials will be in the chat.

6 And with that, I think we are ready to  
7 begin. I will hand the meeting over to Ed Messina,  
8 Director of the Office of Pesticide Programs, for  
9 opening remarks.

10 Ed?

11 ED MESSINA: Thank you so much, Danny. Am  
12 I coming in loud and clear?

13 DANNY GIDDINGS: You sound great.

14 ED MESSINA: Great. Thanks.

15 Welcome, everyone, today, and thank you  
16 for joining us for this opportunity to discuss  
17 important topics related to the Office of Pesticide  
18 Programs and our mission.

19 I've got some opening remarks. Before, I  
20 started, I did, if folks would indulge me, want to  
21 take a moment of silence for the 19 young children  
22 that were killed yesterday and also the two teachers  
23 and the many families that are impacted by that  
24 tragedy. So I'm going to ask that we take 20  
25 minutes [sic] of silence to recognize those that we lost

1 yesterday and those that are impacted.

2 (Moment of silence.)

3 ED MESSINA: Thank you for that.

4 So the PPDC membership was renewed in  
5 2021, as it has been every two years, and we have 15  
6 new members with us this year and I'd like to  
7 welcome those members. And we're going to get a  
8 chance to go around and hear from them, and with our  
9 first PPDC meeting today, so thank you for joining  
10 us and so a special welcome. And we are virtual.  
11 Our hope is to, as things progress, evaluate and  
12 really try to do an in-person meeting coming up in  
13 the future and we'll talk about it at the wrap-up on  
14 Day 2. But I wanted to welcome our new members.

15 We also have 25 members who reapplied and  
16 are serving for their second or third two-year term.  
17 So welcome to you and thank you so much for your  
18 continued service to the Committee.

19 As Danny will also discuss in a moment, we  
20 have a full agenda for the PPDC today -- for today  
21 and tomorrow. And I wanted to talk briefly about  
22 the background of the PPDC, its purpose, as well as  
23 that of the PPDC workgroups who are going to provide  
24 lots of updates for us today and tomorrow.

25 So just to refresh everyone's

1 understanding of the purpose of the PPDC, which is a  
2 federal advisory committee, the PPDC was formed in  
3 1995 under the Federal Advisory Committee Act or  
4 FACA, which Congress passed in 1972 to create an  
5 orderly procedure by which federal agencies can seek  
6 collective advice from diverse customers, partners,  
7 and stakeholders.

8           The FACA establishes procedures for the  
9 management of federal advisory committees, ensures  
10 transparency of advisory committee decision-making,  
11 and ensures balanced presentations.

12           The PPDC supports EPA in performing its  
13 duties and responsibilities under the Federal  
14 Insecticide, Fungicide and Rodenticide Act, the  
15 Federal Food, Drug and Cosmetic Act, and the  
16 amendments to both of these major pesticide laws by  
17 the Food Quality Protection Act or FQPA of 1996, and  
18 the Pesticide Registration Improvement Renewal Act  
19 or PRIA.

20           And the following is from the PPDC charter  
21 so we can all sort of be aligned on why we're all  
22 here today and coming together to provide advice to  
23 the Agency. So this is a direct reading from the  
24 from the charter and it states, "The PPDC will  
25 provide a cooperative public forum to

1 collaboratively discuss a wide variety of pesticide  
2 regulatory development and reform initiatives,  
3 evolving public policy and program implementation  
4 issues, and policy issues associated with evaluating  
5 and reducing risks from the use of pesticides.  
6 These evolving policy issues may include OPP's work  
7 related to environmental justice, climate change,  
8 and pollinator and imperiled species.

9           "And the major duties of the PPDC are to  
10 provide policy advice, information and  
11 recommendations on developing practical, protective  
12 approaches for addressing pesticide regulatory  
13 policy and including the technical and economic  
14 feasibility of any proposed regulatory changes to  
15 the current process or registering and reevaluation  
16 of pesticides."

17           So with this background and the charter in  
18 mind, I want to give you a bit more information on  
19 the workgroup updates you're going to hear today and  
20 tomorrow. As a refresher for those who are more  
21 familiar with the groups and as an introduction to  
22 those who are not yet familiar, so temporary work  
23 groups are sometimes formed to assist federal  
24 advisory committees with research, information  
25 gathering, and document drafting to support

1 committees in performing their duties.

2 In 2020, four PPDC workgroups were formed  
3 and started working in late 2020, and the groups  
4 explored charge questions on topics related to  
5 emerging viral pathogens, emerging agricultural  
6 technologies, farmworker and clinician training, and  
7 pesticide resistance management. And our agenda  
8 closely tracks the recommendations from the  
9 workgroups and then EPA responses to those workgroup  
10 recommendations, which were provided at the last  
11 meeting. These are all pressing areas for OPP and  
12 we are working to develop practical, protective  
13 approaches that work for our stakeholders.

14 And, again, at the last PPDC, which was  
15 October 27 and 28th of 2021, the four PPDC  
16 workgroups reported out on the work they had done, a  
17 tremendous amount of work that had occurred in the  
18 subworkgroups working beyond and in addition to the  
19 PPDC meeting. Three of the workgroups continued at  
20 that meeting and, one, the farmworker and clinician  
21 training group, was disbanded. This is part of the  
22 normal process and the nature of these temporary  
23 workgroups. And the workgroups also submitted  
24 recommendations to the PPDC which were discussed and  
25 sent forward as recommendations to the Agency.



1           The reports and presentations can be found  
2           on the CDC website in the list of documents for the  
3           October meeting. We will put a link to the October  
4           meeting in the chat, and you can find the work  
5           reports recommendations and presentations there.

6           And then during the workgroup updates  
7           today and tomorrow, you will hear what has happened  
8           since the recommendations were made to EPA last  
9           October, what actions EPA has already taken to  
10          address those recommendations, and then also discuss  
11          potential paths forward for discussion with a larger  
12          PPDC group.

13          So we're looking forward to these  
14          discussions with the committee and, again, I welcome  
15          you to the session and multiple days.

16          We'll also, as Danny will mention, have a  
17          public comment period at the end, and we've saved  
18          some time for discussion for each of the report-outs  
19          and each of the different agenda items. I'll say a  
20          couple of words to start some of the agenda items  
21          that Danny is going to talk through as we get to  
22          them.

23          And so with that, thank you again, and I  
24          will pass it back to Danny for the Committee member  
25          introductions. Over to you, Danny.

## 1 HOUSEKEEPING

2 DANNY GIDDINGS: Thanks, Ed. And, yeah,  
3 in just a minute, I will call roll for members of  
4 the PPDC. Before I do that, I want to do a quick  
5 walkthrough of the agenda for today.

6 After I call roll, Ed's going to give an  
7 update from the Office of Pesticide Programs. Then  
8 we'll break for 45 minutes for lunch at 12:30.  
9 We'll reconvene at 1:15 for an update from the  
10 Emerging Pathogens Workgroup, followed by  
11 discussion. At 2:30, we will have a session on  
12 pesticide label reform, followed by discussion. At  
13 3:30, we'll have a discussion on EPA's recently  
14 released Endangered Species Workplan, led by Deputy  
15 Assistant Administrator for Pesticides, Jake Li, as  
16 well as an overview and update on Bulletins Live!  
17 Two. And, of course, there will be an opportunity  
18 for discussion, after this session as well.

19 At 4:30 is the public's opportunity for  
20 comment and we'll open up the meeting to those who  
21 signed up to provide comment. And like I said  
22 before, we'll get to as many of those who have  
23 contacted us during the meeting as time will allow  
24 before we adjourn at 5:00.

25 Just so you know, we have built in five-

1 minute breaks between sessions to give folks an  
2 opportunity to get up and stretch. Two full days of  
3 sessions, with no breaks is daunting and that's  
4 absolutely not something that we're going to try to  
5 do.

6 So I'll call roll for members of the PPDC  
7 right now. I'm going to call --

8 ZOOM SUPPORT: Danny?

9 DANNY GIDDINGS: Yeah, sorry. Go ahead.

10 ZOOM SUPPORT: This is Troy, Zoom Tech  
11 Support. I've just enabled the closed captioning  
12 live transcription feature within Zoom. For anyone  
13 requiring live transcription or captioning, down at  
14 the bottom of your screen in the controls, you will  
15 see a CC live transcript. That could also be found  
16 in the "more" area if you've got a smaller window.  
17 All you're going to do is select that and then  
18 select show subtitle or hide subtitle.

19 Thank you.

20 DANNY GIDDINGS: Thanks, Troy.

21

22

23

24

25

1 PPDC MEMBER INTRODUCTIONS

2 DANNY GIDDINGS: So now let's go to our  
3 roll call for members of the PPDC. I'm going to  
4 call members in reverse alphabetical order, and  
5 we'll start with the new members and then we'll go  
6 to returning members. The list of members will be  
7 shown on screen. So when I call your name, please  
8 unmute your microphone, activate your webcam, tell  
9 us your name, your role, and the organization or  
10 group you represent and their mission.

11 And as a reminder, please mute your  
12 microphone and turn your webcam off when you are  
13 finished.

14 So let's go ahead and bring up the list.

15 First, I'd like to introduce Wendy Sue  
16 Wheeler. Wendy, would you like to provide an  
17 introduction?

18 WENDY SUE WHEELER: Yes. My name is Wendy  
19 Sue Wheeler. My role is I'm a representative. The  
20 organization that I represent is the American  
21 Association of Pesticide Safety Educators. And  
22 AAPSE's mission is to enhance public health and the  
23 environment through involvement in education,  
24 outreach, and research which directly benefits pest  
25 management managers, policymakers, and the public.

1 Good morning.

2 DANNY GIDDINGS: Thank you, Wendy.

3 Now, I'd like to recognize Alexis Temkin.

4 ALEXIS TEMKIN: Hi, everyone. I am Alexis  
5 Temkin. I am a toxicologist at the Environmental  
6 Working Group, and our mission broadly is around  
7 research advocacy and policy around chemicals in the  
8 environment, including pesticides, but also personal  
9 care products.

10 DANNY GIDDINGS: Thank you, Alexis.

11 Next, Dave Tamayo. Dave, go ahead.

12 DAVE TAMAYO: Yes, thank you. I'm Dave  
13 Tamayo. I'm an environmental scientist. I  
14 represent County of Sacramento Stormwater Program  
15 and I do a lot of work on pesticide policy, and I'm  
16 a former member of the PPDC I think from 2010 to  
17 2016.

18 Thank you.

19 DANNY GIDDINGS: Wonderful, Dave. Thank  
20 you.

21 And, next, let's hear from Anastasia  
22 Swearingen.

23 ANASTASIA SWEARINGEN: Hi, I'm Anastasia  
24 Swearingen with the American Chemistry Council,  
25 Center for Biocide Chemistries. CBC represents the

1 biocides industry and addresses a range of  
2 scientific, regulatory, and educational uses on  
3 biocide use in industrial, institutional and  
4 residential settings. So we are antimicrobials for  
5 both industrial and public health uses.

6 DANNY GIDDINGS: Thank you, Anastasia.

7 DANNY GIDDINGS: Mayra Reiter.

8 MAYRA REITER: Good morning. I am Mayra  
9 Reiter. I'm a project director for Professional  
10 Safety and Health with Farmworker Justice.  
11 Farmworker Justice is a national organization that  
12 works to empower migrant and seasonal farmworkers to  
13 improve their living and working conditions,  
14 immigration status, health, occupational safety and  
15 access to justice. And as part of our mission, we  
16 work for environmental justice for farmworkers,  
17 their families, and their communities, including  
18 protection from hazardous pesticide exposures.

19 Thank you.

20 DANNY GIDDINGS: Thanks, Mayra.

21 Jessica Ponder.

22 JESSICA PONDER: Good morning, everyone.  
23 My name is Jessica Ponder. I'm a PhD toxicologist  
24 with the Physicians Committee for Responsible  
25 Medicine. The Physicians Committee is a nationwide

1 nonprofit based in DC that represents over 175,000  
2 members advocating for modernized toxicology methods  
3 that are more ethical, more efficient and more  
4 effective.

5 This is my first PPDC meeting and I am  
6 excited to be here as an advocate of new approach  
7 methodologies for environmental justice.

8 Thank you.

9 DANNY GIDDINGS: Welcome, Jessica, and  
10 thank you.

11 Megan Patterson.

12 MEGAN PATTERSON: My apologies. It looked  
13 like I had a little bit of a lag in internet there.

14 Megan Patterson, I am here as a  
15 representative of AAPCO, and that's the American  
16 Association of Pesticide Control Officials. AAPCO  
17 is an organization of pesticide regulatory officials  
18 from states, U.S. territories, federal agencies and  
19 Canadian provinces, who administer and enforce  
20 pesticide laws and regulations.

21 DANNY GIDDINGS: Thank you, Megan, and  
22 welcome.

23 Bob Mann.

24 BOB MANN: Good morning, everyone. I'm  
25 Bob Mann with the National Association of Landscape

1 Professionals, where I serve on the government  
2 relations team. I come to NALP after many years in  
3 the professional lawn care industry. I've met and  
4 worked with many of you already, and for those of  
5 you who I'm meeting for the first time, I'm looking  
6 forward to working with all of you as well.

7 Thanks very much.

8 DANNY GIDDINGS: Thanks, Bob.

9 Marc Lame?

10 MARC LAME: Hi, my name is Marc Lame. I'm  
11 at the Indiana University School of Public and  
12 Environmental Affairs. I'm medical entomologist by  
13 training and I teach environmental management here  
14 at the school, public and environmental affairs, as  
15 well as a public participation. My clinical work  
16 has to do with the implementation of integrated pest  
17 management with vulnerable populations, probably for  
18 the last 20,25 years working with school integrated  
19 pest management.

20 This is my second stint on the PPDC. I  
21 was in one before the previous administration. So  
22 I'm glad to be back at it. And, by the way, I am a  
23 public health representative.

24 Thank you.

25 DANNY GIDDINGS: Glad to have you back,



1 Marc, and thank you.

2 Let's hear from Keith Jones.

3 KEITH JONES: Good morning. I'm Keith  
4 Jones. I'm the Executive Director of BPIA, the  
5 Biological Products Industry Alliance. We are the  
6 trade association that represents biopesticides or  
7 reduced-risk pesticides. Our mission is advancing  
8 sustainability through biological solutions.

9 Thanks.

10 DANNY GIDDINGS: Thank you, Keith.

11 Next, let's hear from Dawn Gouge.

12 DAWN GOUGE: Hello, good morning,  
13 everybody. I'm Dawn Gouge. I'm a public health  
14 entomologist. I work for the University of Arizona  
15 on medically significant pests and integrated pest  
16 management. I represent the National Environmental  
17 Health Association which is the association for  
18 environmental health professionals, and their  
19 mission is to build and sustain and empower an  
20 effective environmental health workforce.

21 Thank you.

22 DANNY GIDDINGS: Thank you, Dawn.

23 Lisa Dreilinger.

24 LISA DREILINGER: -- Dreilinger. I am  
25 senior director of regulatory and government affairs

1 at Reckitt. Reckitt is the company behind some of  
2 the consumer brands that you are probably -- already  
3 know, like Lysol, Finish, AirWick. They have  
4 hygiene, health, and nutrition. So those are the  
5 hygiene brands. And then health and nutrition is  
6 Mucinex and Enfamil.

7 Reckitt, in general, exists to protect,  
8 heal, and nurture in the relentless pursuit of a  
9 cleaner, healthier world. And we believe that  
10 access to the highest quality hygiene, wellness, and  
11 nourishment is a right and not a privilege.

12 So thank you for having me.

13 DANNY GIDDINGS: Thank you, Lisa.

14 Nathan Donley.

15 NATHAN DONLEY: Hey there. I'm Nathan  
16 Donley. I've got my PhD in cellular biology. I  
17 studied mechanisms of cancer development at Oregon  
18 Health and Sciences University and subsequently at  
19 the Oregon Institute of Occupational Health  
20 Sciences. Currently, I am the science director for  
21 the Environmental Health Program at Center for  
22 Biological Diversity, and our mission is to save  
23 life on earth.

24 DANNY GIDDINGS: Thank you, Nathan.

25 Next, let's hear from Lauren Dana.

1           LAUREN DANA: Hi, I'm Lauren Dana. I'm a  
2 supervisory attorney at Legal Aid Chicago. I'm a  
3 farmworker representative. I'm an attorney. I  
4 represent agricultural workers on matters related to  
5 their working conditions, living conditions,  
6 occupational health and safety, human trafficking,  
7 and immigration. And Legal Aid Chicago is a  
8 nonprofit that provides civil legal services,  
9 including to the agricultural worker/farmworker  
10 population.

11           Thanks.

12           DANNY GIDDINGS: Thanks, Lauren.

13           And, finally, let's hear from Becca  
14 Berkey.

15           BECCA BERKEY: Hi, everyone. I'm Becca  
16 Berkey, and I did my doctoral work in environmental  
17 sociology and currently serve as the director of  
18 Community Engaged Teaching and Research, as well as  
19 a guest lecturer in human services at Northeastern  
20 University in Boston, Massachusetts. And I'm here  
21 to represent the farmworker health and justice team  
22 and Coming Clean, which campaigns for better working  
23 conditions, improved and stronger health and safety  
24 regulations, and ultimately better health for  
25 farmworkers based on the priorities and needs of

1 farmworkers at the grassroots.

2 DANNY GIDDINGS: Thanks, Becca.

3 And welcome again to all of our new  
4 members. We're so glad that you are with us today  
5 and we look forward to your contributions.

6 Now, let's turn to our returning members.  
7 The first one needs no introduction. In fact, I  
8 think he already introduced himself. Ed Messina  
9 chairs our PPDC and has introduced him himself at  
10 the top, and will, of course, get another  
11 opportunity to introduce himself during the OPP  
12 update coming up next.

13 So, Ed, if you don't mind, I'm going to  
14 differ on your introduction until a little bit later

15 So let's hear from John Wise.

16 JOHN WISE: Good morning, everybody. I'm  
17 John Wise. I'm a professor of entomology at  
18 Michigan State University.

19 ZOOM SUPPORT: All right. This is Troy  
20 Niece (phonetic) with Zoom technical support. All  
21 of our panelists who will be speaking today, I would  
22 like to direct you to the bottom of your screen  
23 where you should see the interpretation button.  
24 It's necessary to select either the English channel  
25 or the Spanish channel. I've had some feedback in

1 the chat direct to me that they can hear certain  
2 people but not others.

3 So everyone in the event will need to  
4 select either English or Spanish, and we'll be able  
5 to take care of you. That is down at the bottom  
6 under Interpretation and you'll select your language  
7 of choice. It may be on a smaller computer monitor.  
8 It may be in the "more" area.

9 Thank you.

10 JOHN WISE: Danny, can you hear me all  
11 right?

12 DANNY GIDDINGS: Yeah. Go ahead, John.

13 JOHN WISE: So, I'm John Wise, Professor  
14 of Entomology at Michigan State University, and I  
15 represent the IR-4 Project in today's meeting. IR-4  
16 is a NIFA-funded project --

17 ZOOM SUPPORT. John, my apologies. You're  
18 not in the English channel. You're in the off  
19 position, and if we're in the English channel, we  
20 can't hear you.

21 JOHN WISE: I should be there now.

22 ZOOM SUPPORT. Thank you.

23 JOHN WISE: Yeah, thanks.

24 So I'm Professor of Entomology, Michigan  
25 State University, and I represent the IR-4 Project,

1 and IR-4 Project is a NIFA-funded effort to develop  
2 the data necessary to bring pest management  
3 solutions to specialty crop growers in the U.S. We  
4 work to provide biopesticides and reduced-risk  
5 pesticides for specialty crop integrated pest  
6 management.

7 Thank you.

8 DANNY GIDDINGS: Thank you, John.

9 Next, let's hear from Mily Trevino-  
10 Saucedo.

11 MILY TREVINO-SAUCEDA: Hi. Can you  
12 hear --

13 DANNY GIDDINGS: I can hear you, Mily,  
14 though it sounds like the connection is a little bit  
15 broken.

16 MILY TREVINO-SAUCEDA: Okay. Remember,  
17 I'm in traffic, so hopefully you can hear me.

18 DANNY GIDDINGS: All right. Go ahead and  
19 just please speak loudly and slowly.

20 (Connection issue.)

21 DANNY GIDDINGS: Apologies, Mily, we're  
22 having some issues with your audio. It seems like  
23 maybe your cell phone connection isn't great.

24 MILY TREVINO-SAUCEDA: -- farmworker  
25 women.

1 Can you hear me?

2 DANNY GIDDINGS: You're coming in and out.

3 MILY TREVINO-SAUCEDA: Okay. I can wait  
4 until the end.

5 DANNY GIDDINGS: Okay. Yeah, that's a  
6 good idea, Mily.

7 Let's go on with Cathy --

8 MILY TREVINO-SAUCEDA: Continue.

9 DANNY GIDDINGS: Yeah. Let's go on with  
10 Cathy Tortorici, and then we'll come back to you,  
11 Mily, at the end. Thank you.

12 So Cathy Tortorici.

13 CATHY TORTORICI: Danny, can you hear me?

14 DANNY GIDDINGS: Yes, yes, I can.

15 CATHY TORTORICI: Great. It's Cathy  
16 Tortorici. I'm the Division Chief of the Endangered  
17 Species Act Interagency Cooperation Division at the  
18 National Marine Fisheries Service here in Silver  
19 Spring, Maryland. And we've been working with EPA  
20 for a number of years on developing biological  
21 opinions through Section 7 of the Endangered Species  
22 Act on the work that EPA is doing in terms of FIFRA  
23 for labeling.

24 It's been a great interaction over the  
25 years, and I say this to you all because I'm going

1 to be retiring at the end of June and I just wanted  
2 to say to this group I've been so impressed by your  
3 work. You're a smart group of people, a caring  
4 group of people working on really tough issues, and  
5 I've learned a tremendous amount, and I want to  
6 thank you for that, and I look forward to this  
7 meeting a lot, because it is my last meeting. I  
8 just wanted to say that.

9 Thank you so much.

10 DANNY GIDDINGS: Well --

11 ED MESSINA: Thank you, Cathy. It's been  
12 great having you.

13 DANNY GIDDINGS: Thank you, Cathy, for  
14 those kind words and a big congratulations on your  
15 retirement. And we're so glad to have you back for  
16 one last meeting.

17 CATHY TORTORICI: Thank you.

18 DANNY GIDDINGS: Next, let's hear from  
19 David Shaw.

20 DAVID SHAW: Good morning, everyone, David  
21 Shaw --

22 DANNY GIDDINGS: David, we're having  
23 trouble hearing you. If you can be sure that you're  
24 in the English channel by clicking your  
25 interpretation button and then choosing English, if



1 that is what you'll be presenting your remarks in  
2 today, or Spanish.

3 DAVID SHAW: Is this better? Can you hear  
4 me now?

5 DANNY GIDDINGS: Yes, I can hear you now,  
6 David. Thank you.

7 DAVID SHAW: Okay, great. Thank you.

8 All right. So David Shaw. I'm a weed  
9 scientist at Mississippi State University. I'm the  
10 past president of the Weed Science Society of  
11 America. I'm also the past chair of the Herbicide  
12 Resistance Education Committee. WSSA, of course, is  
13 a nonprofit professional society that focuses on the  
14 promotion of research, education, and extension and  
15 outreach activities related to weeds and works to  
16 provide science-based information to the public and  
17 other policymakers, and we work to foster an  
18 awareness of weeds and their impacts both of managed  
19 and natural ecosystems.

20 Thank you.

21 DANNY GIDDINGS: Thank you, David.

22 Charlotte Sanson.

23 CHARLOTTE SANSON: Hi, good morning. My  
24 name is Charlotte Sanson. I am head of North  
25 America Regulatory Affairs and Sustainability for

1 ADAMA. And we're a global crop protection pesticide  
2 manufacturer. I represent the registrants of the  
3 regulated community for conventional pesticides  
4 whose mission is to provide crop protection tools to  
5 growers in the United States and enable their access  
6 to these tools by obtaining and defending product  
7 registrations with EPA and the states

8 This is my third term, and thank you very  
9 much.

10 DANNY GIDDINGS: Thank you, Charlotte.  
11 Good to have you back.

12 Next, let's hear from Karen Reardon.

13 SHANNON JEWELL: Hi, this is actually  
14 Shannon. Karen let me know that she won't be able  
15 to attend this particular part of the meeting, but  
16 Karen represents RISE, Responsible Industry for a  
17 Sound Environment.

18 Thanks.

19 DANNY GIDDINGS: Thanks, Shannon.

20 Damon Reabe?

21 DAMON REABE: Hello, my name is Damon  
22 Reabe. I'm an aerial applicator from Wisconsin here  
23 on behalf of the National Agricultural Aviation  
24 Association. For the association, I serve as the  
25 chairman of the Government Relations Committee.

1           The NAAA's mission is focused on two  
2 primary goals. First, it's on educating the  
3 industry on the safe application of pesticides and  
4 second is to educate the public and policymakers on  
5 the importance of our industry to society.

6           I apologize for the outfit. I literally  
7 did just get out of the airplane after performing  
8 some applications this morning to the forests of  
9 Michigan.

10           Well, you look great, Damon. So glad to  
11 have you here.

12           Caleb Ragland.

13           CALEB RAGLAND: Hello, everybody. I'm  
14 Caleb Ragland. I'm a farmer in Central Kentucky.  
15 We raise soybeans, corn, winter wheat, and pigs on  
16 our farm. And I am Secretary of the American  
17 Soybean Association, and I am here on behalf of that  
18 group and happy to be here and learn and work  
19 together.

20           Thank you,

21           DANNY GIDDINGS: Thanks, Caleb.

22           Next, let's hear from Gary Prescher.

23           GARY PRESCHER: Yes, good morning,  
24 everyone. I represent the National Corn Growers  
25 Association and this is my second term. I live in

1 South Central Minnesota, and I look forward to  
2 reengaging with the topics that are to be discussed  
3 today.

4 DANNY GIDDINGS: Thanks, Gary.  
5 Tim Lust.

6 TIM LUST: My name is Tim Lust. I serve  
7 as CEO of the National Sorghum Producers, the trade  
8 association that represents sorghum farmers around  
9 the country. I've worked closely with EPA and have  
10 product registration and reregistration for our crop  
11 protection tools for the last 20 plus years.

12 DANNY GIDDINGS: Thanks, Tim.  
13 Lauren Lurkins.

14 SHANNON JEWELL: Hi, this is Shannon  
15 introducing Lauren. Lauren is with the Illinois  
16 Farm Bureau. She serves as the director of  
17 Environmental Policy, a position she's held since  
18 2013. The Illinois Farm Bureau represents 74,000  
19 members who joined through their local farm bureaus.

20 And I have an apology to make. The next  
21 person on the list is Aaron Lloyd and it's written  
22 here is Andrew. So my apologies, Aaron, if you'd  
23 like to go ahead and introduce yourself.

24 AARON LLOYD: Sure. No worries. My name  
25 is Aaron Lloyd. I'm the assistant director for the

1 Lake County Mosquito Control District. Lake County  
2 is located in Southwest Florida. That's the Fort  
3 Myers area. And our district is committed to  
4 protecting the public health of the Lake County  
5 residents through suppressing mosquitoes, both  
6 nuisance and ones that may be carrying arboviruses.

7 DANNY GIDDINGS: Thank you, Aaron, and  
8 apologies again on the name switch-up.

9 Charlotte Liang.

10 CHARLOTTE LIANG: Good morning, everyone.  
11 My name is Charlotte Liang. I'm a chemist with the  
12 U.S. Food and Drug Administration Center for Food  
13 Safety and Applied Nutrition, Office of Food Safety.

14 Our agency monitors pesticide residues in  
15 food and enforces EPA's pesticide tolerance in foods  
16 regulated by the FDA. I work on policy issues  
17 related to pesticide residues in human food.

18 I'm glad to be here. Thank you.

19 DANNY GIDDINGS: Thank you, Charlotte.

20 Next, Dominic LaJoie.

21 Is Dominic LaJoie here?

22 (No response.)

23 SHANNON JEWELL: I think he's not, Danny.

24 Thank you.

25 DANNY GIDDINGS: Okay.

1           SHANNON JEWELL: We might have to skip  
2 him.

3           DANNY GIDDINGS: Let's go ahead and skip  
4 him and we'll try to come back to him at the end,  
5 along with Mily.

6           Mark Johnson.

7           MARK JOHNSON: Good morning, everyone.  
8 I'm Mark Johnson with the Golf Course  
9 Superintendents Association of America. I'm the  
10 Director of Environmental Programs. We work hand in  
11 hand with our Government Affairs Team. The mission  
12 of the GCSAA is dedicated to serving our members  
13 advancing their profession and improving communities  
14 through the enjoyment, growth, and vitality of the  
15 game of golf.

16           My background is ecology and environmental  
17 science.

18           Thank you for the opportunity of a second  
19 round. Thank you very much.

20           DANNY GIDDINGS: Thank you, Mark.

21           Now, let's hear from Patrick Johnson.

22           Patrick, are you --

23           PATRICK JOHNSON: Good morning. Yeah, I  
24 am -- good morning. This is Patrick Johnson. I'm a  
25 farmer in Tunica, Mississippi. We grow cotton,

1 rice, corn and soybeans, and I'm representing the  
2 National Cotton Council on the committee. The  
3 National Cotton Council advocates for the U.S.  
4 cotton industry for all seven segments from cotton  
5 producers to textile mills. And I'm happy to be  
6 with you all this morning.

7 DANNY GIDDINGS: Thanks, Patrick.

8 Joe Grzywacz.

9 JOE GRZYWACZ: Hi, I'm Joe Grzywacz. I'm  
10 from Florida State University. I'm a public health  
11 researcher and I also do a lot of work with the  
12 immigrant farmworker population. And, most  
13 recently, I've been spending some time on the  
14 Emerging Viral Pathogens Workgroup. So it's great  
15 to be back.

16 DANNY GIDDINGS: Thanks, Joe. Good to  
17 have you back.

18 Jim Fredericks.

19 JIM FREDERICKS: Good morning, everyone.  
20 I'm Jim Fredericks, the Senior Vice President for  
21 Technical and Regulatory Affairs with the National  
22 Pest Management Association. NPMA represents the  
23 pest control industry, those workers who protect  
24 food, property, and public health from pests in  
25 homes, businesses, and institutions across the

1 United States.

2 DANNY GIDDINGS: Thanks, Jim.

3 Cameron Douglas.

4 CAMERON DOUGLAS: Good morning. Cameron  
5 Douglas, I'm a weed scientist and agronomist with  
6 USDA's Office of Pest Management Policy. We  
7 coordinate pest management policy across USDA  
8 agencies and also work very closely with the Office  
9 of Pesticides Programs at EPA to represent the views  
10 of American farmers.

11 Thank you.

12 DANNY GIDDINGS: Thanks, Cameron.

13 Jasmine Brown.

14 JASMINE BROWN: Good morning, everyone. I  
15 am Jasmine Brown and the chairperson and  
16 environmental scientist for the Tribal Pesticide  
17 Program Council. Our group represents tribes across  
18 the nation and we foster communications between  
19 tribes and their tribal governments or Federal  
20 Government, even international governments, could be  
21 Canada, on a various array of pesticide issues.

22 Currently, we're working on policies  
23 regarding pollinators, hemp and cannabis. And we  
24 were also a grassroots organization that started in  
25 the '90s. Their primary reason for starting was to



1 focus on endocrine disruptors. So that's a big part  
2 of what triggers our risk assessment and outreach  
3 and technical assistance, and happy to be a part of  
4 the PPDC.

5 Thanks.

6 DANNY GIDDINGS: Thank you, Jasmine. Good  
7 to have you here.

8 Steve Bennett.

9 STEVE BENNETT: Good morning. I'm Stephen  
10 Bennett the EVP of Scientific and Regulatory Affairs  
11 with the Household and Commercial Products  
12 Association Trade Association, a trade based in  
13 D.C., and we represent manufacturers of  
14 antimicrobial and pesticidal of products used in the  
15 household and commercial product space. Our  
16 association's mission is to protect and promote and  
17 enhance the household and commercial products  
18 industry in the lives of consumers and workers who  
19 use the products of our members. This is my third  
20 term on the panel and happy to be here.

21 DANNY GIDDINGS: Thanks, Steve.

22 Manojit Basu.

23 MANOJIT BASU: Good morning, everyone.  
24 I'm Manojit Basu. I'm the Managing Director of  
25 Science Policy at Crop Life America. We are a

1 national trade association representing  
2 manufacturers, formulators, and distributors of  
3 pesticide products. Our mission is to help ensure  
4 growers and consumers have the technologies they  
5 need to protect crops, communities and ecosystems  
6 from the threat of pest weeds and diseases in an  
7 environmentally sustainable way.

8 This is my second term at PPDC, and I look  
9 forward to working with all of you. Thank you.

10 DANNY GIDDINGS: Thanks, Mano.

11 Next, let's hear from Amy Asmus.

12 AMY ASMUS: Hello, I'm Amy Asmus. I'm a  
13 certified crop advisor and one of the principal  
14 owners of Asmus Farm Supply, who is an ag retailer  
15 in North Central Iowa. I represent the Weed Science  
16 Society, which the mission was shared by Dr. David  
17 Shaw earlier.

18 So I would just like to point out that the  
19 Weed Science Society of America fosters awareness of  
20 weeds and their impacts on managed and natural  
21 ecosystems.

22 This is my third term, so last time  
23 around.

24 DANNY GIDDINGS: Great to have you here.  
25 Thanks, Amy.

1           Walter Alarcon.

2           Walter, are you with us?

3           It seems like maybe Walter is not with us  
4 or having trouble joining. So let's go back and  
5 check in with Mily.

6           Mily, are you with us?

7           MILY TREVINO-SAUCEDA: Can you hear me?

8           DANNY GIDDINGS: Coming through loud and  
9 clear.

10          MILY TREVINO-SAUCEDA: Okay, great. I had  
11 to stop. Thank you, Thank you,

12          Mily Trevino-Sauceda. And I am the  
13 executive director of Alianza Nacional de  
14 Campesinas, which means it's a national alliance of  
15 farmworker women and we're in 20 different states.  
16 This organization is a membership-based grassroots  
17 organization. We have 15 organization groups. And  
18 we're here not only representing farmworker women,  
19 but also their families.

20          So I'm here and this is my second term,  
21 and I thank you for that. Thank you.

22          DANNY GIDDINGS: And we thank you, Mily.

23          Is Dominic LaJoie -- has he joined us? Is  
24 he on?

25          UNIDENTIFIED MALE: I don't see him,

1 Danny.

2 SHANNON JEWELL: No, he doesn't seem to  
3 be, Danny.

4 DANNY GIDDINGS: Okay. And I'm hearing  
5 from our tech support in the back that Walter  
6 Alarcon is not on either.

7 So I just want to give a big thank you to  
8 both returning members and new members of the PPDC  
9 for being here today and for your service to EPA.  
10 And with that, I want to hand the meeting back over  
11 to Ed Messina for a program update.

12 Ed.

13

14

15

16

17

18

19

20

21

22

23

24

25

1 OPP UPDATES: RECENT ACTIVITIES AND ACCOMPLISHMENTS

2 ED MESSINA: Great. Thanks, Danny. It's  
3 really an honor to be with so many distinguished  
4 members of this committee, and so thank you for your  
5 service.

6 So part of the agenda today, I know folks  
7 are interested to hear what OPP has been doing as of  
8 late and what's been going on with our office. So  
9 I've got a couple of slides that will take us to the  
10 lunch hour. And I'll start sharing my screen.  
11 Hopefully, it's the right one, and then we'll get  
12 rolling.

13 Okay. Almost success.

14 ZOOM SUPPORT: We have been notified in  
15 the chat that Reuben Arroyo is here.

16 SHANNON JEWELL: Okay.

17 DANNY GIDDINGS: Thanks, Reuben, and sorry  
18 for missing you. Welcome.

19 ED MESSINA: Okay. Hopefully, folks are  
20 seeing my slides.

21 EDUARDO MOREIRA: Yes.

22 ED MESSINA: Okay, all right. Well,  
23 thanks, everyone. I'll get started

24 So first, just an update on who's in what  
25 chair. So, as you can see here, Ed Messina, the

1 current director. Arnold Layne is our deputy  
2 director for management. And then Mike Goodis was  
3 just named recently this year the official deputy  
4 director for programs. Mike comes from the  
5 Registration Division and he is now the deputy  
6 director.

7 On the Antimicrobials Division, Anita  
8 Pease as the director; Steve Weiss, Lisa Christ as  
9 the deputy and associate.

10 In the Biopesticide Pollution Prevention  
11 Division, this year, Billy was made permanent. Anne  
12 Overstreet is the current deputy, but she has  
13 actually moved over, as of this week, to the  
14 Biological and Economic Analysis Division to be the  
15 acting director, and Neil, who's been acting, will  
16 be the deputy director. That was this week.

17 On the Registration Division, Marietta  
18 Echeverria is still acting in that role. We've got  
19 an announcement out and are taking applications on  
20 the permanent Registration Division director. That  
21 closed recently, so we have some candidates that  
22 we'll be doing interviews with. And she is filling  
23 Mike Goodis' vacation of that role as the  
24 Registration Division director.

25 Dan Rosenblatt, deputy director, and then

1 Catherine Albe (phonetic), who was the associate  
2 director, has gone on detail to be working in the  
3 Office of Water, taking on a new role there, and so  
4 we currently have a vacancy as the associate  
5 director. I'm hoping to name somebody soon to be  
6 the acting associate director to work with Marietta.

7 Pesticide Reevaluation Division, Elissa  
8 Reaves is the director and then Tim Kiely was made  
9 permanent as the deputy director.

10 Health Effects Division, Dana Vogel, Don  
11 Wilber, Greg Akerman for that leadership team.

12 Environmental Fate and Effects Division,  
13 Jan Matuszko, Amy Blankenship, and Brian Anderson,  
14 and Amy was recently appointed as the acting deputy  
15 director. Jan is still the acting director and that  
16 is because Marietta Echeverria, whose position of  
17 record is the Environmental Fate and Effects  
18 Division, is doing the detail over to the  
19 Registration Division.

20 And then Biological and Economic Analysis  
21 Division, as I mentioned, Ann Overstreet is  
22 currently serving on a one-year detail to be the  
23 acting director for that program.

24 So in terms of where OPP is, we moved.  
25 While we were all remote, folks came in in different

1 tranches and packed up their boxes in the old  
2 Potomac Yards building and then stayed home and a  
3 bunch of movers came in and moved all of our boxes  
4 here to where I'm sitting currently, to the William  
5 Jefferson Clinton building. We are on the east wing  
6 of that building, right on Constitution Avenue, and  
7 then we're also in EPA's West Complex as well.

8           So senior managers have been in the  
9 building since the end of February. We've been  
10 coming in about one day a week. Then the next round  
11 of supervisors came in in March, and then staff  
12 started back in the last week of April to their  
13 current normal schedules, which are generally two to  
14 one time a week, and that's kind of been sort of the  
15 average of folks' schedules. We do have some folks  
16 that are here working full-time and sort of doing  
17 more days, but the average is sort of one to two  
18 days a week.

19           Employees who have relocated have new  
20 phone numbers. So if you're trying to call an OPP  
21 person and you're dialing 703, it's probably not  
22 going to work. There is a website that's updated  
23 regularly about contact information for Office of  
24 Pesticide Programs, and you'll find some new 202  
25 phone numbers for everyone.



1           Please be patient. There's certainly a  
2 large number of transitions that are underway.  
3 Still figuring out, you know, where everything is in  
4 the building, unpacking and working with the hybrid  
5 environment where, you know, we're doing now, where  
6 folks are -- some folks are in the office, some  
7 folks are still working remotely, and so all of our  
8 meetings are in that hybrid environment.

9           I have been meeting with folks in the  
10 building. Jim was the first -- Fredericks -- was  
11 the first person I visited with, who came in, and I  
12 have visited with others. So it is possible to come  
13 see us in person if you're interested and there's a  
14 security process that requires visitors to request a  
15 form and then you'll need to provide a contact phone  
16 number in the case of any issues entering the  
17 building.

18           And then our conference rooms aren't  
19 really equipped with the virtual meetings yet.  
20 We've kind of done some patchwork, so there's a  
21 webcam in my conference room that hooks into a  
22 computer. Danny's in one of the conference rooms  
23 that actually is fitted with some good tech there.  
24 But we're continuing to upgrade our conference room  
25 so when you do visit and it is hybrid we actually

1 have a good experience.

2 And we're still not hosting in-person  
3 large gatherings and meetings. We're still waiting  
4 for direction from basically the EPA headquarters to  
5 determine when we'll start having larger meetings in  
6 the building.

7 So, in terms of our priorities you know  
8 what are we focused on in the future, certainly  
9 getting registrations out the door. Making sure  
10 that growers have the tools they need to combat the  
11 pest pressures that they address daily. Last year,  
12 we issued about 14 new active ingredients and added  
13 new tools to the portfolio, as we continue with the  
14 other priority, which is our registration review  
15 process where we're looking at new science and  
16 evaluating whether additional mitigations are  
17 needed.

18 We're also working on PRIA 4 technical  
19 assistance, the statute that enables us to collect  
20 fees, working with the multiple stakeholders that  
21 are in that group, industry and NGOs and others who  
22 represent perspectives on where they'd like to see  
23 OPP's priorities and using that mechanism through  
24 PRIA 4 and providing technical assistance there.

25 ESA implementation, also a priority.

1 We've got a whole session on that later on, and as  
2 folks have been following, you probably heard of the  
3 recent workplan that we issued and many other  
4 initiatives that I'll talk a little bit about later  
5 in my presentation and Jake's presentation later on.

6 The agency's priorities for environmental  
7 justice and climate change, putting together some  
8 plans for how we would address environmental justice  
9 and climate change. The connection for us for  
10 environmental justice in OPP is largely the workers  
11 -- farmworkers that are associated with those  
12 communities and making sure that they have the tools  
13 they need and they're educated about the potential  
14 risks to pesticides. And we have a couple of  
15 sessions on that today as well, and tomorrow.

16 Climate change, generally, looking at the  
17 increased vectoring of particular organisms,  
18 mosquitoes and the like, and ticks that are going to  
19 increase in ranges, to bring diseases to the United  
20 States that maybe hadn't, in a heretofore manner,  
21 hadn't had those ranges. So that's where we're  
22 connecting in the climate change issues. And, of  
23 course, growing patterns changing as a result of  
24 climate shifts, so people using a different amount  
25 of inputs in certain areas, climates changing within

1 the United States, so, you know, additional water is  
2 needed so how does that change our different inputs  
3 to take into account the effects of climate change  
4 on growers.

5 State of the science and advancing that  
6 and scientific integrity are big parts for OPP,  
7 continuing to work on new approach methods, reduced  
8 animal testing, so a lot of activity is still going  
9 on in the state of the art science. Lots of  
10 rulemaking, guidance documents, litigation,  
11 responding to OIGs and petition responses, for which  
12 we have a large number of petitions that are filed  
13 with the agency to ask us to change certain policies  
14 in light of priorities that various petitioners  
15 would like us to address.

16 We also -- at the foundation of OPP, is  
17 our people. We have some of the most incredible,  
18 hardworking, intelligent scientists that the world  
19 has and it's an honor and a privilege to work  
20 alongside them every day. One of my top priorities  
21 is making sure that they have the resources that  
22 they need to complete their work and that their  
23 experience here at OPP is welcoming and that there's  
24 a culture of inclusiveness. And we really are  
25 focused on that and I've got a couple of slides to

1 talk about that next, but we have an entire employee  
2 experience organizational development group that is  
3 devoted to certain aspects of the employee  
4 experience.

5 We are also continuing to be a lean office  
6 and we're looking at working with industry and  
7 others about process improvements and workflows that  
8 we can better streamline. And then along with that  
9 we have our IT improvements or digital  
10 transformation that we're hoping to complete and  
11 address better workflow, more access to the data for  
12 everyone, a unified view into the data, providing  
13 dashboards and information to our customers, which  
14 includes industry and the public and our various  
15 stakeholders so they can have a better window into  
16 the work that the OPP is doing on a regular basis.

17 So the employee experience, organizational  
18 development, there's a heading, GP2W, that stands  
19 for Great Place to Work. And then we also talk  
20 about the foundation of getting our mission done in  
21 OPP through the people processes and technology and  
22 sort of the bedrock of those three principles.

23 So under the Great Place to Work heading,  
24 which is our mission to provide leadership and  
25 shaping and inclusive culture that drives

1 excellence, innovation and achievement, creativity,  
2 and the employee work experience, there are a number  
3 of workgroups. We have strategic objectives related  
4 to that, so creating a high-performing organization,  
5 which is embracing our core values, implementing  
6 diversity, aligning with Great Place to Work,  
7 ensuring scientific integrity, improving recruitment  
8 and retention.

9           And then we have enhancing employee  
10 experience and engagement, which is convening the  
11 Employee Experience Engagement Subcommittee, hosting  
12 a Great Place to Work café series where folks can  
13 present issues related to cutting edge science and  
14 there's a discussion around that, and then really  
15 reaching down and promoting employee ideas and  
16 creating a platform for people to provide ways that  
17 we can provide a better experience.

18           Emerging issues, as part of the employee  
19 experience, obviously, the return to work was  
20 something that folks were interested in. We had a  
21 number of great educational seminars.

22           And then implementing the headquarters  
23 consolidation, which was the move. And what's  
24 interesting is the work that we're doing in OCSPP is  
25 being recognized. Arnold Layne, who, as I

1 mentioned, is the Deputy for Management, has been  
2 asked to speak not only within the agency about the  
3 work that we're doing in OCSPP, but also the work  
4 that we're doing for the other regional offices and  
5 sort of they're interested in what we're doing. And  
6 then outside of the agency, Arnold's been asked to  
7 talk about, you know, how are we being focused on  
8 our plan to return folks to work as part of our  
9 Great Place to Work initiative and employee  
10 experience.

11 So these are the various teams. We have  
12 an Employee Experience and Engagement Team, Teamwork  
13 and Collaboration Team, Work Life Balance Team,  
14 Pulse Survey Team and Communications and  
15 Transparency Team, all addressing various components  
16 of what we think are the way to drive better  
17 employee engagement and provide a culture for OPP  
18 that we want to create for ourselves.

19 So, in terms of the work -- and folks  
20 have seen this slide and probably in October we'll  
21 go through some of the 2022 metrics. But, as, you  
22 know, recent count from last year, my theme for  
23 presenting these slides is we had a record number of  
24 submissions, we had a record number of completions,  
25 and we have a record backlog. So that's sort of

1 what some of the data that I'm going to present sort  
2 of demonstrates.

3 So we got about 11,000 submissions to our  
4 portal. We completed about 5,000 registration  
5 actions, 2,500 PRIA applications completed, the 14  
6 new active ingredients, new technologies that are  
7 provided for growers. We also completed 2,800 non-  
8 PRIA actions. So in addition to focusing on the  
9 PRIA actions, we are completing non-PRIA actions,  
10 not at the rate that we'd like to and certainly not  
11 commensurate with the priority that we've put in  
12 place for PRIA, getting those done.

13 We had a number of Section 18 emergency  
14 exemptions addressing significant pest pressures,  
15 Asian citrus psyllid, foot and mouth disease, weedy  
16 rice, glyphosate-resistant palmer amaranth, coffee  
17 lead rust, brown marmorated stink bug, and hemlock  
18 woody adelgid.

19 Our work in part, you'll see some of  
20 the COVID-related numbers. In '21, we had over  
21 100 congressional inquiries. Many of them related  
22 to COVID, but not all of them. And we continue  
23 to process a lot of what are called LIST N  
24 applications.

25 So this is a chart that shows sort of what



1 we have in terms of staff. So, you know, back in  
2 2005, we were about 800. This is normalized to  
3 reflect the fact that about almost 100 folks are now  
4 in the Office of Program Support where they had been  
5 in OPP. So if you unnormalize the chart, OPP was  
6 almost 1,000 people back in the day, but this is now  
7 normalized for the folks that moved over to OPS. So  
8 you can kind of see what OPP looks like and it's not  
9 skewed to take into account the fact that folks did  
10 move out of OPP, but are still supporting the OPP  
11 office.

12 So we were at a high of 603 in 2021.  
13 We're trending down to about 590 for this year to  
14 support the budget and then with the current budget  
15 amounts, assuming those are standard or flatlined,  
16 we'll be going down to 546 FTE. That also reflects  
17 significant reduction in contracts and a spend-down  
18 scenario of the balance that existed in the FIFRA  
19 fees, which was about \$51 million that in PRIA --  
20 PRIA 4, we were able to access and then spent that  
21 down.

22 By the end of 2022, we will have spent  
23 down that balance and so we'll be back to this sort  
24 of three funding streams that exists for OPP, which  
25 is appropriations, the FIFRA fees, and the PRIA

1 fees. So with those three streams of income to OPP,  
2 this is our projected forecast for where we will be  
3 by 2024.

4 The number of registrations that we're  
5 supporting has risen to 18,000. So this is a FY '22  
6 number. So we're currently at 18,000 registrations.  
7 So you think about the number of registrations that  
8 are out there, what's needed to be changed, all the  
9 label changes, all the small things that come in,  
10 we're supporting a larger portfolio of registrations  
11 than we ever have in the past and that's reflected  
12 in the total Section 3 product registrations that  
13 are out the

re.

14 We've also completed a record number of  
15 PRIA completions, so from 2004 to 2021. Last year,  
16 we completed about 2500 PRIA completions, which is  
17 about 500 above the 2019 number, which in the world  
18 of COVID and working remotely you can see that OPP  
19 continued to work through those remote environment  
20 issues and focused on the priority of PRIA  
21 completions.

22 Again, even though we've had more  
23 completions, we've had more submissions, and as a  
24 result -- this is a Quarter 2 number, this is a new  
25 metric that folks maybe haven't seen -- our

1 renegotiation rate under PRIA is about 50 percent.  
2 It's higher in the Registration Division. It's over  
3 50 percent, approaching 60 percent for the  
4 conventional chemicals, but when -- even BPPD and AD  
5 have been having higher renegotiation rates, and so  
6 we jumped from -- you know, the low has been around  
7 -- you know, less than 10 percent.

8           Back in 2005, when you can, you know,  
9 correlate that chart with the number of staff we had  
10 and the number of applications that were coming in  
11 under PRIA and adding additional, you know, PRIA  
12 codes throughout the years, we continued to do more  
13 PRIA actions with less people, and now we are having  
14 higher renegotiation rates as a result of the  
15 workload and the number of folks that we have.

16           The COVID submissions are starting to  
17 taper off, which is, you know, good news. So the  
18 blue line is the total pending, these are for  
19 expedited PRIA submissions, where we were getting  
20 things done ahead of schedule. We had the total  
21 combined completions as the orange line and then the  
22 -- we stopped sort of expediting these PRIA actions  
23 for COVID, but the good news is the number of  
24 submissions, the total number of pending has  
25 decreased, and we are continuing to deplete them on

1 a regular rate.

2 And then the nonexpedited COVID  
3 submissions, again, maybe the lump in the snake is  
4 starting to decrease. So the total number pending,  
5 as of May 2022, is down to about 40 submissions. It  
6 was a high of over 100 that, you know, folks were  
7 very interested in getting done and we weren't  
8 completing them -- or we were, but they were  
9 obviously, you know, completing a lot of the  
10 expedited ones. And so now we've actually -- the  
11 good news is completed a lot of a nonexpedited COVID  
12 submissions, and we're continuing to work through  
13 those. So hopefully the resource strain and needed  
14 focusing on the COVID submissions as an  
15 organization, we'll be able to take advantage of  
16 those resources. But Anita, who's the  
17 Division Director of the Antimicrobials Division,  
18 would remind everyone that there's still a lot of  
19 work that's being done in the Antimicrobials  
20 Division. So don't take that chart -- you know, I  
21 didn't run too far with it.

22 The number of FIFRA decisions completed  
23 through Pesticide Registration Review continues to  
24 increase. So this is a new number. For FY 2022 for  
25 Quarter 2, we're at 577, and so we're hoping to meet

1 our 725. In December, we put out a long and new  
2 schedule for how we were going to meet the FY 2022  
3 deadline and the number of draft risk assessments,  
4 which is approaching sort of 95 percent completed,  
5 that there would be some potential, you know,  
6 proposed interim decisions and interim decisions  
7 that would go past the 2022 deadline. So our  
8 schedule, we continue to update online, and folks  
9 can see the various schedules.

10 And it's really to get the science done.  
11 It's to get it right. We don't want to just, you  
12 know, put out something just to meet a deadline. We  
13 want to make sure that we're accounting for all of  
14 the new studies that have come in, all of the  
15 cutting-edge science that we need to review, and I  
16 just think it's an amazing lift that OPP has done  
17 and completed so many draft risk assessments for so  
18 many chemicals throughout the years and as we're  
19 honing in on our FY 2022 deadline.

20 Endangered Species, Jake's going to talk a  
21 little bit about this more in-depth later, but we've  
22 implemented Endangered Species as part of the  
23 registration and Registration Review Program,  
24 consistent with our long-term performance goals for  
25 which we have in the 2022 to 2026 Strategic Plan.

1 As part of OPP's core work, we implemented a new  
2 policy for conventional and some biopesticides for  
3 new active ingredients, and then we issued the newly  
4 proposed ESA FIFRA workplan, which Jake is going to  
5 talk a little bit about more in-depth later on.

6 We also are implementing a number of  
7 biological opinions that we've received from the  
8 services, including Malathion and the salmonids.  
9 And then we have completed the biological  
10 evaluations and effects determinations in accordance  
11 with a lot of the litigation settlements that have  
12 occurred. So it was six final BEs, atrazine,  
13 simazine, glyphosate, imidacloprid, thiamethoxam,  
14 and clothianidin, and then two effects  
15 determinations for Sulfoxaflor and inpurfluxam.

16 This is the current schedule of selected  
17 ESA activities related to BiOps and the recent  
18 biological opinions that we've received from the  
19 services and the final BiOps that we're going to be  
20 issuing soon. This is in the workplan, but I wanted  
21 to show sort of the schedule of things and the  
22 amount of work that EPA needs to complete in order  
23 to continue to comply with our ESA obligations as we  
24 review pesticide products.

25 So you can see that we've issued a number

1 of final BEs and we're scheduled to issue some  
2 upcoming final BEs and we put out some draft BEs.  
3 We also have a schedule for future draft and final  
4 BEs. The ones that are in red are litigation and  
5 the ones that are in brown are things that we added  
6 that were sort of -- for example, the rodenticides  
7 traveling together where we had settled on a  
8 particular rodenticide, it made sense to do the  
9 rodenticides as a class. So the browns are sort of  
10 dates -- are ones that we've added in ourselves, and  
11 then we've got some 10 -- we've got to approximately  
12 10 new active ingredients each year that we're  
13 planning  
14 to do as part of the new AI for draft BEs and final  
15 BEs.

16 And then we continue our litigation  
17 schedule out to 2027, and we still have 30 or so  
18 additional pesticide active ingredients that will,  
19 as part of settlement, most likely be put on a  
20 schedule and these are the active ingredients that  
21 are part of that litigation, and then we have this  
22 work here for continuing.

23 So you can see there's certainly a lot of  
24 work that is yet to be done for issuing draft  
25 biological evaluations, working with the services on

1 BiOps and implementing mitigation as we proceed to  
2 address those chemicals. And also as part of the  
3 workplan, you'll see, as Jake mentioned, we're  
4 looking to make sure that mitigation is done earlier  
5 in the process as well.

6           So an example of what an Endangered  
7 Species Act registration might look like is the  
8 Enlist product. So if you're interested in, you  
9 know, what does this new approach look like, an  
10 example would be the Enlist product. I put it out  
11 there just to call attention to it in case you're  
12 looking for the intersection between ESA and OPP and  
13 what our work looks like and consultation with the  
14 services and commencing that and trying to get  
15 mitigations on the label to make sure that we are  
16 not arriving at jeopardy or adverse modifications  
17 for habitats and working with the services to sort  
18 of have that done, but also doing some initial work  
19 to help the services with that evaluation.  
20 Obviously, it's their call.

21           So when we issued that opinion, first,  
22 there were a number of counties that were not  
23 included in the additional registration. We got  
24 comments back from growers. They were worried about  
25 losing that tool in about 130 counties. So we



1 pretty quickly were provided new information from  
2 the registrant and, you know, from January to March,  
3 we approved a new Enlist One, Enlist Duo label that  
4 allowed it to be used with additional mitigations in  
5 the 134 counties that were reviewed based on the  
6 current mitigation and with new information about,  
7 you know, species that were in those areas.

8 We also had some small tweaks to the label  
9 based on where there were species ranges from the  
10 January to the March time frame. So there are now  
11 many more counties that the Enlist products can be  
12 used in from the January initial announcement and  
13 obviously a pretty thorough Endangered Species Act  
14 review process was conducted for the Enlist  
15 registrations.

16 Dicamba, as folks recall in December, we  
17 announced our incident report. We continued to find  
18 a large number of incidents in Dicamba and also  
19 found incidents related in Endangered Species Act  
20 areas. Very recently, in May, we filed a status  
21 report with the court as requested. The court  
22 report requires that we explain where we had been on  
23 the process and we told the court that we have  
24 implemented state-specific restrictions for Dicamba  
25 in certain states and we remain committed to working

1 with states interested in addressing issues related  
2 to incidents in their jurisdiction.

3 So for example, following registration and  
4 registrant requests to amend their labeling. In  
5 partnership with Iowa and Minnesota, we implemented  
6 additional restrictions, as requested by those  
7 states, to reduce the likelihood of volatility and  
8 offsite movement on the over-the-top application of  
9 Dicamba in those states. Dicamba is also going  
10 through registration review at this time. So there  
11 will be additional information on that as well.

12 We also indicated that for the '23 growing  
13 season we're going to continue to review whether  
14 over-the-top Dicamba can be used in a manner that  
15 does not pose unreasonable risks to nontarget crops  
16 and other plants. We were committed to evaluating  
17 the regulatory tools. And then we also announced to  
18 the court that, in March, we received a request from  
19 the registrant, Bayer, to amend the 2020  
20 registration for Bayer's XtendiMax product by adding  
21 additional use restrictions that would be applicable  
22 in counties where there are certain federally listed  
23 endangered or threatened plant species.

24 Chlorpyrifos, another chemical that's in  
25 litigation, and I'll stick more closely to the

1 slides on this one, but as folks must know, in  
2 August we issued the final rule revoking all  
3 tolerances. That was in response to the Ninth  
4 Circuit's order directing the agency to issue a  
5 final rule to the 2007 petition. And after issuing  
6 the August 2021 final rule, we provided an  
7 opportunity for anyone to file an objection. The  
8 deadline was in October.

9 And then in February of 2022, this year,  
10 we announced the denial of all the objections. The  
11 tolerance is expired for Chlorpyrifos. And then on  
12 that same day, we published the denial of all the  
13 objections to the August 2021 rule. So at this  
14 time, using Chlorpyrifos on food and feed crops, it  
15 will result in adulterated food which cannot be  
16 legally shipped in interstate commerce. We also  
17 worked with FDA on a channels of trade guidance for  
18 any Chlorpyrifos that was applied prior to the  
19 expiration of the tolerances in the final decision.

20 And then recently, in terms of the  
21 litigation in March, the Eighth Circuit denied a  
22 motion to stay the tolerance rule and dismissed a  
23 petition seeking review of the Chlorpyrifos final  
24 rule revoking tolerances for lack of jurisdiction  
25 and then two other petitions challenging EPA's final

1 rule and order denying objections were consolidated  
2 into a single action, and so we remain pending in  
3 front of the Eighth Circuit for Chlorpyrifos.

4 The Agricultural Worker Protections  
5 Standard, this is a rule that we finalized in 2020.  
6 There were lawsuits challenging the revisions, so  
7 the work on the new rule has been stayed and the  
8 2015 Worker Protection Standard remains in effect.

9 So in May of 2022, we published a notice  
10 in the Federal Register explaining the ongoing  
11 litigation and the effect of the stay, continuing  
12 the state for the AEZ Rule. And so we've also  
13 initiated rulemaking internally. You haven't seen  
14 anything public yet, but we've been initiating  
15 rulemaking to reconsider parts of the 2020 rule in  
16 keeping with the Executive Order by the President,  
17 13990, concerning the protection of public health  
18 and the environment and restoring science to tackle  
19 the climate. So that's the update on the AEZ Rule.  
20 So I would say, you know, stay tuned for any  
21 upcoming rulemaking, but the 2015 rule remains in  
22 effect.

23 The certification of pesticide applicators  
24 rule, so we've been working really hard and the  
25 states have been working really hard to update their

1 training for certified pesticide applicators. I'm  
2 happy to report that we've actually reviewed all 68  
3 territory, tribal, and federal agencies'  
4 certification plans and we've provided feedback.  
5 And we have some final plans that have actually been  
6 approved. So as of today, we have one state and two  
7 federal plans that are approved and we're going to  
8 continue to approve them on a rolling basis.

9           At the same time, we know that states were  
10 very concerned about the upcoming deadlines and  
11 being able to meet the rule deadline, so we issued a  
12 rule extending the date by which plans must be  
13 approved and ensuring the existing plans can remain  
14 in place to November 4th of 2022, and we also issued  
15 a proposed rule for public comment on the need for  
16 extending the expiration date beyond November 4th,  
17 2022. We got -- about 20 comments were submitted to  
18 the docket regarding the extension. And then a  
19 final rule is currently under development and  
20 anticipated in September regarding what the final  
21 extension might be.

22           And so obviously, you know, we understand  
23 the states were concerned about the deadline prior  
24 to October of 2021. Because of legislation in PRIA,  
25 we were unable to actually act or put anything in

1 motion that works on any rule related to the CNT  
2 (phonetic) Program. And so as a result, we were  
3 approving plans and working on feedback and now  
4 we've proposed an extension.

5           Glyphosate and Prop 65, this is something  
6 that's gotten some recent news play and there's also  
7 litigation around this which is somewhat related to  
8 California's recent ask of the agency. So we had  
9 originally denied, in 2019, California's request to  
10 have label language that talked about their Prop 65  
11 and the International Agency for Research on  
12 Cancer's classification. We thought that language  
13 at the time -- I'll refer you to the letter sort of  
14 where we denied that -- was going to be false and  
15 misleading under the Pesticide Program and under  
16 FIFRA.

17           We then received new language from  
18 California and they asked us to consider whether  
19 this new language would be appropriate. We talked  
20 about it internally, and I put the language out  
21 there at the bottom for you to peruse, but, you  
22 know, California's argument was, you know, basically  
23 this language is stating some facts, so it was very  
24 factual.

25           It says, you know, using this product can

1 expose you to glyphosate. And they talk about the  
2 IARC cancer classification and they also provided  
3 EPA's position, which is that EPA has determined  
4 that glyphosate is not likely to be carcinogenic to  
5 humans, and other authorities have made similar  
6 determinations. And a wide variety of factors  
7 affect your potential risks, including level and  
8 duration of exposure to chemical. For more  
9 information, including ways to reduce your exposure,  
10 visit the Prop 65 website for California.

11 So when presented with this, you know,  
12 fairly neutral language, we did indicate in a letter  
13 back to California that we did not think that this  
14 was false and misleading. We continue to stand by  
15 our determination based on the review of robust  
16 scientific evaluation that glyphosate is not  
17 potentially carcinogenic. And we say that  
18 glyphosate is not likely to be carcinogenic to  
19 humans. We say that in the letter back to  
20 California. And EPA's conclusion remains consistent  
21 with the many international expert panels and  
22 regulatory authorities.

23 We also said that in the brief of the  
24 Solicitor to the Supreme Court in an ancillary case  
25 related to a challenge of California's Prop 65

1 language, indicating that we have continued to stand  
2 by that determination.

3           So I've seen some, you know, recent  
4 articles about that. I think, you know, most of  
5 them are, you know, doing pretty good job reporting  
6 on that, but if you see any articles that indicate  
7 that we've changed our mind on glyphosate, you can  
8 point them to this slide and the language that's in  
9 the Solicitor General's brief, which indicates we're  
10 still standing by a determination related to the  
11 noncarcinogenicity of glyphosate and its effect on  
12 humans.

13           We also, as part of PRIA 4 -- you know,  
14 one of the things that the PRIA coalition can work  
15 on and requested in PRIA 4 was that we put out  
16 certain guidance on efficacy guidelines for a  
17 product performance rule, which we issued in April,  
18 which goes into effect in June. So the bedbugs,  
19 premise fire ants, and pests of pets guidelines have  
20 been created and updated per the schedule listed in  
21 PRIA 4.

22           The rule mainly codifies the current  
23 efficacy practices regarding product performance  
24 standards and invertebrate pests to test to support  
25 labeling claims. So that was a product that folks



1 were waiting for the agency to complete that was in  
2 PRIA 4 and success to us for completing that.

3 Design for the Environment logo, we also  
4 announced in May, we launched a new Design for the  
5 Environment, DfE, logo, at the request of industry  
6 and other stakeholders, that the logo will appear on  
7 antimicrobial products, like disinfectants and  
8 sanitizers within the year.

9 The DfE logo helps consumers and  
10 commercial buyers identify antimicrobial products  
11 that meet the health and safety standards of the  
12 normal pesticide registration process and the DfE  
13 products meet criteria that evaluate human health,  
14 environmental effects, product performance,  
15 packaging and ingredients. And the requirements are  
16 intended to minimize any possible risks to human  
17 health by excluding ingredients that might have the  
18 potential to negatively impact young children, cause  
19 cancer, or have other negative effects. They  
20 further protect fish and other aquatic life,  
21 minimize pollution of the air and waterways, and  
22 then ensure products have no unresolved compliance  
23 enforcement or efficacy issues.

24 So you can see the old logo on the left,  
25 which looks really good if you're in the 1970s or

1 '80s, and the new logo, which is maybe more  
2 appropriate for 2022. So we were happy to work with  
3 the many stakeholders who asked us to change that  
4 logo and issued that very recently.

5 So if you are interested in receiving  
6 updates about all of the incredible work that OPP is  
7 doing, there's usually an OPP update a week,  
8 sometimes two. Because of the volume of work that  
9 we're doing, there's probably going to be one going  
10 out today or tomorrow on some grants related to  
11 workers. And so that will be coming out as a big  
12 update this week, and maybe even while we're at the  
13 meeting. So please sign up. Stay in touch with  
14 what we're doing. And as always, you know, we put  
15 many of these documents out for public comment. All  
16 of our science goes out for public review and we  
17 really do appreciate the comments we do receive.

18 You know, in particular, I would say it's  
19 great that we have some growers who are in on this,  
20 you know, committee. We really -- when mitigation  
21 happens on the label and tools are either taken away  
22 or additional protections are put in place there, it  
23 is for a good reason. It is that we've found a  
24 potential public health risk, we've found an  
25 environmental risk, including risks to endangered

1 species.

2           And we need to hear from the growers of  
3 the importance of those tools so we can have a full  
4 picture of the impact of any of our decisions for  
5 mitigation and the ability for those mitigations to  
6 actually take place, and, you know, the realistic  
7 approach as to whether those mitigations can be used  
8 in practice is really why this PPDC and all the  
9 members on this group, why your input is so valued  
10 and why we put everything out for public comment and  
11 why we really appreciate the comments that you do  
12 send us.

13           So if you're interested in hearing about  
14 what you can comment on, definitely sign up for the  
15 OPP pesticide updates.

16           And with that, I will stop talking and  
17 we'll save some time for a little bit of a  
18 discussion.

19           DANNY GIDDINGS: Thank you, Ed.

20           So, yeah, we have -- we're getting close  
21 to 12:30, but we do have some time for discussion.  
22 If you are a PPDC Member and you would like to  
23 comment or ask a question about anything that Ed  
24 just covered, please raise your hand and we will  
25 call on you. After I call on you, please unmute

1 yourself and enable your webcam and begin to speak.

2 So I see that Keith Jones from BPIA would  
3 like to speak. Please, Keith, go ahead and unmute  
4 yourself and and deliver your comments.

5 KEITH HONES: Thanks, and thanks, Ed.  
6 Thanks for all those updates.

7 Just a quick question. With Ann going on  
8 that temporary detail, will there be an acting  
9 deputy director for BPPD, and if so, do you know who  
10 it would be? Thanks.

11 ED MESSINA: Yes and no. So I've got to  
12 talk to Billy, but, yes, there will be a deputy,  
13 Keith.

14 KEITH JONES: Great. Thanks.

15 ED MESSINA: Nathan.

16 DANNY GIDDINGS: Nathan, go ahead next.

17 NATHAN DONLEY: Yeah, thanks, Ed. This is  
18 more concerning the sort of first half of your  
19 presentation where you sort of give overviews of the  
20 registration decisions you made under PRIA. And,  
21 you know, I appreciate why that's a big part of what  
22 you do. It's sort of your day-to-day. Those PRIA  
23 deadlines are constantly on your mind.

24 But I'd love to see the agency sort of  
25 identify some different measurements of success as

1 well because, you know, the improvements in the  
2 registration expansions and the exemptions are part  
3 of what you do, but you also do a lot of reining in  
4 of pesticide use. You also cancel uses sometimes  
5 and even cancel active ingredients, not as much as  
6 I'd like to see, but this happens. And when it  
7 does, I think the Agency should really tout that and  
8 take credit for it and provide some overviews on how  
9 often that happens to let the public know of sort of  
10 that side of your agency that is doing sort of more  
11 public health protective measures.

12 I think this would also help staff morale.  
13 A lot of people at the EPA join there because they  
14 want to protect the environment, protect public  
15 health, and if they see leadership sort of touting  
16 some of these other things, like use cancellations  
17 and active ingredient cancellations, in a public  
18 forum like this, I think that would be very  
19 beneficial.

20 And so, you know, I know you've done some  
21 great things this past year, like cancelled  
22 Pentachlorophenol; you're proposing to cancel most  
23 uses of Diuron, which is a nasty herbicide; you're  
24 proposing to cancel most uses of the dithiocarbamate  
25 fungicides, like Thiram, Ziram, and Therban. These

1 are great actions.

2 And to the extent that the final decisions  
3 track with the proposed ones, I'd really like to see  
4 you tout this more and give sort of overviews of how  
5 often this is happening at your agency, because I  
6 really view it as more in alignment with your  
7 mission than a lot of the PRIA actions. So just  
8 some food for thought.

9 ED MESSINA: Yeah, appreciate that. Thank  
10 you, Nathan. I will definitely add that to my  
11 update in the next PPDC. I had a little bit of that  
12 in the last PPDC, because when we issued that  
13 updated schedule for registration review, as that  
14 OPP update is there, we did talk about the hundreds  
15 of sort of mitigations that occurred as a result of  
16 our registration review, and it is important part of  
17 our program. So I think we're very much aligned and  
18 I agree with that. I'll definitely take that  
19 comment back and try to provide a deeper dive on  
20 that in the future.

21 DANNY GIDDINGS: Thanks, Nathan.

22 Dave Tamayo.

23 DAVE TAMAYO: Yeah. Thank you very much,  
24 Ed. That was quite a lot of material you covered.  
25 Obviously, you guys are very busy. I've known that

1 for quite a while. One of the things that I wanted  
2 to find out is what, if anything, OPP is doing to  
3 improve how it evaluates the impact of urban use  
4 pesticides on water bodies that receive either  
5 wastewater discharges or stormwater discharges, or  
6 even direct discharges.

7 I mean, the reason I'm on this committee  
8 and the reason we communicate with OPP on a very  
9 regular basis is that there seemed to be some, you  
10 know, some gaps in how EPA models how pesticides  
11 move through the environment, the types of data they  
12 use to evaluate whether there's a potential impact  
13 on, you know, aquatic organisms.

14 About a decade ago, there was some  
15 movement in trying to improve that on a more global  
16 basis, but that seems to have -- the amount of  
17 resources that are being applied to that have been  
18 diminished. I understand your challenges, but has  
19 there been any progress in that at all in the last  
20 few years?

21 ED MESSINA: Yeah, I mean, we've  
22 definitely -- if you've seen recently, we've updated  
23 our aquatic life benchmark information.

24 Are you talking about also passthrough  
25 from POTWs or are you more -- is your question more

1 directed towards sort of stream health?

2 DAVE TAMAYO: Well, officially, I'm more  
3 interested in stormwater because that's who I  
4 represent, but we communicate with POTWs quite a  
5 bit. And just understanding, so it's not just  
6 about, you know, the standards. It's also, you  
7 know, EPA's understanding and application of how  
8 things are actually used in the environment, what  
9 type of data they use, you know, with -- because  
10 limited data sets lead to limited understanding.

11 Anyway, I'd like to find out more and  
12 maybe in a future meeting that could be something  
13 that could be discussed.

14 ED MESSINA: Yeah, actually, I -- let's  
15 put that as a future topic for OPP to kind of talk  
16 about how we do our water assessments for the PPDC.  
17 We're happy to put that on the agenda.

18 We've done recently a large number for  
19 CHPAC, which is the Children's Health FACA. We  
20 provided a lot of slides about how we do the human  
21 health risk side of things, and so I think with the  
22 new ESA and some of those documents, and with the  
23 recent -- you know, if you look at Enlist and sort  
24 of how we address the water runoff and the  
25 mitigations there, there's plenty to talk about, I



1 think, on how we do our water assessments and all  
2 the data, of which there's a lot, and all of the  
3 models that we employ that we are constantly  
4 updating, but updating on a pretty good frequency,  
5 to make sure that we've used the most conservative  
6 values that are available for us to ensure that  
7 pesticides are not impacting waterways.

8 We just yesterday, in fact, heard from  
9 USGS, whose -- they're working on a report that will  
10 be announced in the future -- related to, you know,  
11 assessment of water quality, and there are other  
12 organizations who are doing water quality  
13 assessments for pesticides that we want to make sure  
14 that we're incorporating that information. So I  
15 would say let's put them on the future PPDC and  
16 thank you for the comment.

17 DAVE TAMAYO: Thank you.

18 DANNY GIDDINGS: Great. And we'll take  
19 that as some feedback and put it on our future  
20 agenda.

21 Mily, you're up next.

22 MILY TREVINO-SAUCEDA: Can you hear me?

23 ED MESSINA: Yes.

24 MILY TREVINO-SAUCEDA: Okay, good. I  
25 stopped again.

1 ED MESSINA: I'm glad you've stopped  
2 driving and you're talking, Mily.

3 MILY TREVINO-SAUCEDA: Yeah. No, of  
4 course, I do. This is why you don't hear me as much  
5 when I'm driving.

6 I have several questions, but I'm going to  
7 try to put everything in one, and it has to do with  
8 what you were talking about, the worker protection  
9 standards. And, you know, because I represent  
10 farmworkers, farmworker women and their families,  
11 and you talked about the lawsuits, and we're not  
12 going to necessarily -- I'm not going to necessarily  
13 go in deep in terms of that, but are you saying that  
14 because the consideration of what was approved and  
15 the worker protection standards in 2015 is -- and  
16 there was a rollback with the previous  
17 administration, the zoning of -- and then there was  
18 a decision in terms of the zone being 100 feet away  
19 in terms of applications being done. It was -- gone  
20 back to 25, and this is why there was a lawsuit.

21 Are you saying that it's going back to the  
22 2015 approved by the previous administration? The  
23 2015, is that going to go back to 100 feet distance  
24 in terms of zoning when you apply chemicals? That's  
25 one question.

1           Then the other is about -- what about the  
2   Paraquat that EPA is allowing for more years to be  
3   used when it's been proven that it should be banned?  
4   And then organophosphates, the same thing. Are  
5   these things that are being considered? I mean, I  
6   just wanted to pose this. I have more, but at  
7   least, I want to bring this piece up.

8           ED MESSINA: So, Mily --

9           DANNY GIDDINGS: Ed, before you answer,  
10   because Mily is on her phone, for those in the  
11   English channel, they couldn't hear her questions.  
12   So can you please reiterate both of her questions  
13   and then answer?

14           And also just a reminder to everyone to  
15   please speak slowly and clearly so that our Spanish  
16   interpreters can keep up. Thanks.

17           ED MESSINA: Certainly. So Mily's  
18   question was about the application exclusion zone as  
19   it relates to the AEZ, Paraquat, and the OPs.

20           So, Mily, to answer your question, the  
21   2015 rule remains in effect. So that had the AEZ in  
22   it. The 2020 modified that, but that is not in  
23   effect currently.

24           To answer your question about what we  
25   might do in the future, that is going to require a

1 new rulemaking where people will comment on our  
2 approach. So I can't sort of prejudge where we're  
3 going to land and sort of, you know, tell you  
4 exactly where the agency is going on that because I  
5 want to respect the rule-writing process.

6 On Paraquat, that is one of those  
7 chemicals that has a high risk and high benefit for  
8 growers, and the high risk is obviously the fact  
9 that if you ingest Paraquat, really bad things can  
10 happen, including death. And we have incidences of  
11 Paraquat deaths. Unfortunately, many of those are  
12 associated with intentional ingestion. And so the  
13 draft risk assessment, the registration review  
14 decision allowed the continued use of Paraquat. We  
15 put in significant mitigation measures, including  
16 closed loop systems, lots of training, certified  
17 applicators. So that's an example where the FIFRA  
18 statute sort of allows the risk benefit decision to  
19 enable a particularly dangerous, you know, chemical  
20 if it's not handled correctly to be continued in the  
21 marketplace.

22 The OPs, the other organophosphates, you  
23 know, of which Chlorpyrifos is one, but the other  
24 OPs are on the current registration review schedule.  
25 We are trying to use sort of new approach methods as

1 part of that analysis. So the schedule for  
2 Paraquat, I think -- for OPs, excuse me, I think is  
3 slated for 2023. I know there's a letter that folks  
4 have asked us, you know, why have we pushed that out  
5 and we have a response to some of the folks that  
6 have asked about that OP schedule, which is a  
7 chemical class that I know is of great interest to  
8 many stakeholders, but we're proceeding with our  
9 review of that chemical and the end that chemical  
10 class.

11 I think we'll take one more, Danny, and  
12 then we'll give folks their lunch.

13 DANNY GIDDINGS: Yeah, I think that's  
14 fine.

15 So, Charlotte, please go ahead and go.

16 CHARLOTTE SANSON: Yes, thank you. And  
17 I'll just -- this is really a comment and --

18 DANNY GIDDINGS: Charlotte, please  
19 remember to be in the English channel if that's what  
20 you're speaking.

21 CHARLOTTE SANSON: Oh, thank you. Yeah, I  
22 lost my connection from it.

23 Yes. So mine is more of a comment and a  
24 request and not a question. But I just wanted to  
25 speak to something that was mentioned earlier, that

1 by discussing some of the pesticides that have been  
2 critical and proven for the grower community, when  
3 those pesticides are removed from commercial  
4 opportunities, I think it's helpful to also be  
5 transparent about what the impact of the loss to the  
6 grower community as a result of that, because I know  
7 there are a lot of very thoughtful comments that --  
8 and input that's provided to OPP during that  
9 decision process.

10 And I think just as important as the  
11 scientific evaluation is really being transparent  
12 about how that's impacting the grower community and  
13 just kind of putting that in balance in terms of the  
14 feedback being received from them and what options  
15 are available as a result of that loss.

16 ED MESSINA: Thank you, Charlotte.

17 DANNY GIDDINGS: Ed, so I know we need to  
18 get to lunch, but I do want to bring in one question  
19 from the chat and maybe you can comment on this, and  
20 it may indeed be covered a little bit later, too.  
21 But Dawn Gouge asked, will the Malathion biological  
22 opinion be covered with regard to ESA within the  
23 workgroup update or could Ed comment now.

24 ED MESSINA: I don't think we have a deep  
25 dive on the Malathion BiOp itself. I think it's

1 more related to the priorities. But maybe -- why  
2 don't we ask the question if there's time of -- you  
3 know, we'll have some other experts, you know, Jan  
4 and Jake and folks and maybe we can table that to  
5 the ESA timing and get their reaction to any  
6 specific questions related to the Malathion BiOp.

7 DANNY GIDDINGS: Sounds great. Thanks,  
8 Ed.

9 So that concludes our first morning  
10 session. We're going to break for a 45-minute  
11 lunch. Before we do, I need to give you some Zoom  
12 instructions.

13 So during lunch, please mute your mic and  
14 turn off your webcam. But don't click the "leave  
15 the meeting" button. In other words, stay in the  
16 Zoom session just on mute. This will ensure that  
17 everyone gets back into the meeting easily after  
18 lunch and make sure there's no problems with the  
19 different channels and video settings and such.

20 So with that, let's break for lunch.  
21 Let's come back a few minutes -- let's see, we ran  
22 about 15 minutes late. Let's give about 15 minutes  
23 back. So let's come back a few minutes before 1:30  
24 so we can start promptly at 1:30. So please be on  
25 to 1:25 or so, and we'll get started then.

1           Thanks. Have a great lunch.

2           (Lunch break.)

3           RECORDING: This meeting is being  
4 recorded.

5           DANNY GIDDINGS: Welcome back, everyone.

6 We hope you had a good lunch and are feeling  
7 refreshed for our first workgroup update from the  
8 Emerging Pathogens Workgroup, who conducted a  
9 retrospective on the work the EPA did around the use  
10 of the emerging viral pathogen policy and  
11 registration of antimicrobial products in response  
12 to COVID-19 pandemic.

13           Tajah Blackburn is a senior scientist in  
14 the Antimicrobials Division in OPP and co-chairs the  
15 workgroup with Komal Jain from the Center for  
16 Biocide Chemistries. Unfortunately, Komal is not  
17 able to join us today so Tajah will be presenting  
18 for both of them.

19           Tajah.

20

21

22

23

24

25



1 EMERGING VIRAL PATHOGENS WORKGROUP UPDATE

2 TAJAH BLACKBURN: Excellent. Thank you,  
3 Danny, for the introduction.

4 As Danny mentioned, I am a senior  
5 scientist at the Antimicrobials Division at the EPA,  
6 and along with my co-chair, Komal Jain, from the  
7 Centers for Biocide Chemistries, we have had the  
8 pleasure of leading the Emerging Pathogen Workgroup  
9 for the last year and a half. From the onset, this  
10 group was dedicated, focused, and determined,  
11 proposing greater than 80 recommendations to improve  
12 the Antimicrobials Division's processes and response  
13 to viral outbreaks.

14 Before I begin this midyear report, I want  
15 to state that the Emerging Viral Pathogens Guidance  
16 was activated for monkey pox and a corresponding  
17 list with the effective products through the EVP  
18 process will be made available soon. This marks the  
19 third time that the Emerging Viral Pathogens  
20 Guidance has been activated and these discussions  
21 and recommendations are even more necessary and  
22 timely.

23 Next slide.

24 This midyear report will provide a  
25 flashback capturing the document that is the impetus

1 to this group's formation, a historical perspective  
2 of the objectives, workgroup membership and  
3 affiliations, the charge questions we tackled, the  
4 Antimicrobials Division's prioritization of the  
5 workgroup's recommendations, next steps, and finally  
6 close with a question to PPDC who navigated our  
7 course.

8 Next slide.

9 For setting the tone of this talk, it is  
10 prudent that I spend just a little time discussing  
11 the hallmark document that led to this group's  
12 formation. The Emerging Viral Pathogen Guidance,  
13 finalized in 2016, allowed claims against emerging  
14 viral pathogens on off-label communications for  
15 certain EPA-registered disinfectant products.

16 Prior to the finalization of the document,  
17 there was a 30-day public comment period that  
18 resulted in a response to comment document. Just  
19 briefly, this guidance provides a voluntary two-  
20 stage process for EPA-registered disinfectant  
21 products to communicate their effectiveness through  
22 standard label language and off-label  
23 communications. Ideally, stage 1 is the pre-  
24 outbreak stage where registrants with eligible  
25 disinfectant products may request, through label

1 amendments or during registration of a new product,  
2 to add emerging viral pathogen designated statements  
3 to their master labels and additional terms to their  
4 product registration.

5           Stage 2 allows registrants with previously  
6 approved emerging viral pathogen claims to make off-  
7 label communications that the disinfectant product  
8 may be used against the specific emerging viral  
9 pathogen in the event of a disease outbreak where  
10 the established criteria have been met. The link  
11 and the header for this document are captured on  
12 this slide.

13           Next slide.

14           The criteria for activating this resource  
15 first occurred in January 2020 in response to SARS-  
16 CoV-2, the virus that causes COVID-19.

17           March 2020 saw the activation of other  
18 events to include EPA's announcement to expedite the  
19 review process for products eligible for the  
20 emerging viral pathogen claim and the initial  
21 posting of List N on March 5th, 2020. In May of  
22 2020, EPA expanded its expedited review program to  
23 include new products and amendments to existing  
24 product labels that required review of new efficacy  
25 data. And, as I mentioned, since this activation,

1 the EVP has been activated a third time to include  
2 the addition of monkey pox this week.

3 Next slide.

4 List N, posted for the first time on March  
5 5th, 2020, has definitely proven its value in weight  
6 in awareness and communication. This list includes  
7 disinfectant products for use against SARS-CoV-2.  
8 The initial list contained approximately 90  
9 products. As of May 13th, 2022, the current list has  
10 about 606 products, 254 with specific claims against  
11 SARS-CoV-2. And I want to mention -- and this is a  
12 very conservative number -- that this list has been  
13 viewed over 25 million times. So it's proved to be  
14 a very valuable asset during this season. This list  
15 has also undergone several viewing improvements and  
16 expanded search options.

17 So the question we always get is, why is  
18 it called List N? Well, it's called List N because  
19 it represented the next available alphabet in the  
20 growing resource listing of products targeted  
21 against a specific pathogen. So hence the name List  
22 N.

23 Next slide.

24 So with the EVP activated and the process  
25 of expediting off-label claims, List N and other

1 resources underway, the Emerging Pathogen  
2 Workgroup's co-chair's organization, the Center for  
3 Biocides Chemistries proposed this workgroup, the  
4 Emerging Pathogens Workgroup to provide a  
5 retrospective of the COVID-19 crisis as a function  
6 of the Emerging Viral Pathogen Guidance.

7 We addressed product availability, proper  
8 use of products, and potentially addressed misuses,  
9 bogus misleading claims. Modifications to the EVP  
10 policy were symbols, a necessary resource, List N  
11 flexibilities, pros and cons, other lists, other  
12 ways to address product selection, and finally  
13 communication.

14 DANNY GIDDINGS: Tajah, this is Danny.

15 TAJAH BLACKBURN: Yes.

16 DANNY GIDDINGS: Can you -- just a quick  
17 note here. Please can you slow down a little bit.  
18 Our Spanish interpreters are having a hard time  
19 keeping up.

20 TAJAH BLACKBURN: No worries. No worries  
21 at all.

22 DANNY GIDDINGS: Thank you.

23 TAJAH BLACKBURN: Do I need to go back to  
24 any slides?

25 DANNY GIDDINGS: I don't think so. I

1 think as long as you just slow down that should be  
2 good.

3 TAJAH BLACKBURN: Okay. No problem.

4 So slide 7, as you can see from this  
5 slide, we are a large workgroup about 21 members  
6 strong. Members represent a mix of federal  
7 regulators, registrants, formulators, professors,  
8 science and legal experts, and members of the end-  
9 user community. I continue to applaud the  
10 commitment of the members as the time and work put  
11 towards this effort is significant.

12 From December 2020 through February 2022,  
13 we met with a consistent battle rhythm and we held  
14 ourselves to a milestone calendar which provided  
15 tangible results.

16 Next slide.

17 The Emerging Pathogen Workgroup had the  
18 following objectives: Number 1, To assess EPA's  
19 COVID-19 response and stakeholder experiences with  
20 the Emerging Viral Pathogens, EVP, Guidance for  
21 antimicrobial pesticides; Number 2, To assess the  
22 user experience with antimicrobial disinfection  
23 products registered by the EPA for infection  
24 control; and, lastly, Number 3, to provide  
25 recommendations to EPA for policy improvements and

1 identify educational gaps.

2 Next slide.

3 This group provided greater than 80  
4 recommendations in response to the four charge  
5 questions that we began navigating through starting  
6 in December of 2020.

7 I think we've lost the slide deck.

8 SHANNON JEWELL: Sorry about that, Tajah.  
9 Let me get that right back up.

10 TAJAH BLACKBURN: Perfect. Thank you,  
11 Shannon.

12 So these are the four charge questions  
13 that we tackled. Charge question number 1, What are  
14 the strengths and weaknesses of the first use of the  
15 Emerging Viral Pathogens Guidance during the COVID-  
16 19 pandemic?

17 Charge question number 2, What  
18 flexibilities are needed and not provided by  
19 guidance, regulation to address issues faced in a  
20 pandemic or other emergency?

21 Number 3, What education is needed during  
22 a pandemic or other emergency for the public end  
23 users and other regulating authorities?

24 And lastly, Number 4, How can EPA's  
25 enforcement program be strengthened to expeditiously

1 respond to fraudulent misbranded products in the  
2 marketplace during a pandemic or other emergency?

3 Next slide.

4 The Antimicrobials Division individually  
5 analyzed each recommendation across four  
6 prioritization buckets as color-coded.  
7 Recommendations of highest importance priority are  
8 identified in green and those of medium priority are  
9 identified in yellow. The recommendations in the  
10 next two buckets were not prioritized. Additional  
11 information is needed and/or resources, process  
12 developments for these recommendations.

13 Consequently, recommendations identified  
14 in the red bucket as needs process improvement,  
15 needs process development, require additional work  
16 by a new workgroup.

17 Recommendations identified in the blue  
18 bucket as long-term issues are those parking lot  
19 issues and represent those items that EPA will not  
20 be able to address in the short-term as these  
21 recommendations require significant resources to  
22 implement.

23 Of note and for clearer navigation as we  
24 go forward, for the next nine slides, the slides are  
25 framed in the color representing their



1 prioritization designation. As a reminder, green  
2 will equal high priority, medium will be identified  
3 in yellow, red not prioritized as needs process  
4 development, and blue will be those long-term  
5 issues, those parking lot issues.

6 Next slide.

7 For each recommendation, we included  
8 overarching topics for recurring themes. Of note,  
9 some of the buckets -- some of those prioritization  
10 buckets that I mentioned that are color-coded will  
11 have the same or similar overarching topics, while  
12 others will have more specialized topics, depending  
13 on the charge question or the issue.

14 For recommendation of highest importance  
15 and priority, the overarching talk topics were  
16 improved communication and transparency, formation  
17 of a new workgroup, efficacy guidance, education,  
18 collaboration, and product verification.

19 The next six slides identify the  
20 recommendation of highest importance in  
21 prioritization and are framed in green.

22 Let me brace you. There's a lot of  
23 information on this slide, but I'll do my best to  
24 condense it and make it digestible. Each table will  
25 include three main column headings. The first one

1 is the Emerging Pathogen Workgroup recommendation,  
2 which is on the far right. The center column will  
3 detail the deliverable, either anticipated or  
4 delivered, and the last column identifies the  
5 location of the recommendation specific to the  
6 charge question within the document that was  
7 presented at the fall 2021 meeting.

8 The items detailed on this slide cover the  
9 overarching topic of improved communication and  
10 transparency. In the first grayed section, the  
11 workgroup's recommendation included three  
12 components, the EVP battle rhythm, that is when is  
13 the EVP triggered, how was it extended, and when is  
14 it halted, where to house communications for the EVP  
15 and associated items for transparency and, lastly,  
16 how to address viral variants.

17 The deliverable for these three  
18 recommendations is a public-facing EPA landing page.  
19 This landing page was initiated in November of 2021  
20 -- so a couple weeks following the fall meeting --  
21 and we believe that this landing page represents the  
22 best place to put the most updated information  
23 regarding the three components identified. Of note,  
24 this landing page also includes information for the  
25 two other viral pathogens that have been activated

1 through the EVP, including the monkey pox virus,  
2 which was added this past Monday.

3 The next section, with the white  
4 background, identifies the workgroup's  
5 recommendation regarding pathogen-specific testing  
6 guidance. Again, we believe that the most effective  
7 place to put this information is on that landing  
8 page with hyperlinks where relevant to lab protocols  
9 and guidance.

10 The next section includes recommendations  
11 associated with the list, and we talked about List  
12 N, but there are other lists as well. A  
13 recommendation for an EPA-established website, that  
14 landing page, including some of the documents and  
15 references in additional languages and a mechanism  
16 to identify effective product all satisfy that  
17 particular recommendation as a tool for placement on  
18 the landing page.

19 Some revisions and deliverables have  
20 already taken place, as I've mentioned, and some  
21 revisions to the List N document have taken place as  
22 well.

23 We would also like to add additional  
24 pandemic web content and hyperlinks when and where  
25 necessary.

1           Another goal is to rename the list with  
2 pathogen designation and then letter designation and  
3 to include the information, frequently asked  
4 questions in other languages as well.

5           The final recommendation on this page of  
6 improved communication and transparency is  
7 correcting misinformation. This effort has been  
8 ongoing and handled on a case-by-case basis.  
9 Examples of where this has taken place, where we've  
10 made corrections during this process, are listed in  
11 the deliverable column.

12           Again, this is evidence of the  
13 responsiveness and prioritization of these  
14 recommendations.

15           Next slide.

16           The next overarching topic is the  
17 formation of a new workgroup. There have been  
18 significant discussions around forming a new  
19 workgroup to respond to the Antimicrobials  
20 Division's organization for further clarification of  
21 the gaps in the processes and other recommendations  
22 that were not thoroughly vetted. AD has included  
23 this recommendation as highest importance and  
24 priority.

25           Next slide.

1 Under the overarching topic of efficacy  
2 guidance -- and we're still working in the high  
3 prioritization lane -- each of the workgroup's  
4 recommendations are associated with charge question  
5 2, and that was the charge question where we  
6 revisited a lot of the regulatory documents that we  
7 use for Section 3 registration.

8 The recommendation listed first includes  
9 the incorporation of the electrostatic spray testing  
10 guidance into 810 Guidelines for further  
11 consideration and with further consideration to  
12 expand those uses to other use sites and strains.  
13 The electrostatic spray guidance and testing  
14 requirements will be included in the 810s and the  
15 consideration of expanding use slice and strains is  
16 ongoing.

17 For the next item, the residual guidance  
18 is being revised. The completion date is projected  
19 for the end of this fiscal year, not fiscal year  
20 2021, but fiscal year 2022.

21 This guidance will be incorporated into  
22 the 810 Guidelines at a later date. And consistent  
23 with earlier messaging, consideration for expanding  
24 the residual guidance to other use sites and strains  
25 is an ongoing discussion.

1           For the last recommendation under efficacy  
2 guidance is the expansion of virucidal claims to  
3 sanitizers. That's both food and nonfood contact  
4 sanitizers and porous and nonporous use services.  
5 This will be addressed by draft guidance and posted  
6 by the end of this fiscal year. Not fiscal year  
7 2021, but fiscal year 2022.

8           Next slide.

9           Under the overarching topic of education,  
10 the workgroup's recommendation at the top of this  
11 page, at the top of this column, is to continue  
12 education through every phase of the pandemic.  
13 Deliverables associated with this recommendation  
14 include providing ongoing updates to the webpages,  
15 that landing page that we just spoke about, and  
16 frequently asked questions throughout the pandemic  
17 through updated information pertaining to variants  
18 and expanding infographics for ease of use.

19           The next recommendation is to provide  
20 sector-based product information for the pathogen of  
21 concern. This has been accomplished to some degree  
22 by the recent updates to Lists N, O, and P. We also  
23 plan to develop a one-pager on how to select use  
24 products in multiple settings in multiple languages.

25           Areas that are highlighted represent our

1 external ask from stakeholders, where stakeholders  
2 can really be an asset to assist with this process.  
3 And this has definitely been an effort where we rely  
4 on our stakeholders to identify gaps through  
5 surveys, through experiences. We hope to build  
6 relationships -- additional relationship user groups  
7 and provide feedback from the registrant and end-  
8 user community.

9           The final recommendation on the previous  
10 slide -- on the slide for education -- is adjusting  
11 recommendations based on transmission route for  
12 better clarification of product use. Oversight of  
13 these issues is critical and evidenced by the  
14 Section 18 pivot for service-based products. Survey  
15 information -- once surveys are issued, analyzed,  
16 and compiled -- can assist with addressing this  
17 recommendation and providing hyperlinks when  
18 necessary.

19           Next slide, please. Perfect.

20           Collaboration has been an ongoing theme of  
21 this pandemic, but there are always opportunities to  
22 leverage and build and cultivate new relationships.

23           The first two recommendations focus on  
24 collaborating with other regulatory agencies and  
25 associations to better understand their inherent

1 challenges to identify EPA gaps in assistance and  
2 avenues for leveraging resources and consistent  
3 messaging. There are several deliverables that have  
4 been met -- that have met the theme of this  
5 recommendation -- to include ongoing updates to  
6 webpage, consistent webinars, and I've also included  
7 a subset of the webinars that we have participated  
8 in to just demonstrate how responsive we've been in  
9 providing our message to the end-user community.

10           These recommendations can also be  
11 addressed by our proposed one-pager, mentioned on  
12 the last slide, that will detail how to select and  
13 use products in multiple settings and in multiple  
14 languages. This is an effort that, again, industry  
15 can definitely assist with as we identify gaps  
16 through the surveys, build relationships with user  
17 groups, and obtain feedback from the registrant and  
18 end-user experience and the community.

19           Lastly, by way of a collaboration, the  
20 last overarching topic -- next slide.

21           So for this last particular topic of  
22 product verification, the workgroup recommended that  
23 EPA provide reassurance that products are suitable  
24 when used as directed. When antimicrobial products  
25 with public health claims are registered, efficacy



1 data are evaluated against established methods and  
2 standards. Additionally, there may be opportunities  
3 to conduct internal efficacy testing for maybe  
4 Section 18 products and Section 3 products through  
5 EPA Microbiology Laboratory and the Office of  
6 Research and Development.

7 So these recommendations and the  
8 prioritization of these recommendations represent --  
9 and those deliverables, as well, represent AD's  
10 critical review of the recommendation, the  
11 deliverables that have been put into place, the  
12 deliverables that are in the process of being  
13 formulated to address these high priority  
14 recommendations as it relates to the original  
15 objectives of the Emerging Pathogen Workgroup.

16 So let's transition now to those medium-  
17 prioritized recommendations. Following the same  
18 theme that we followed before for the high-  
19 prioritized recommendations, there are some  
20 overarching topics. These overarching topics for  
21 the medium-prioritized recommendations include  
22 process efficiencies, surveys, improve communication  
23 and transparency, consistency and adverse reporting.

24 Next slide.

25 For process efficiencies, the workgroup

1 recommended that the Emerging Viral Pathogen  
2 Guidance approval process get integrated into  
3 efficacy reviews. We have proposed as a deliverable  
4 to include a statement in the efficacy review to  
5 alert the PM, the product manager, to notify the  
6 registrant of the requirements of the EVP claim for  
7 a future submission. This is only proposed for  
8 products that may have met the requirement for EVP  
9 claims and the registrant has not sought that claim.

10 Next slide.

11 To address the recommendations for  
12 surveys, the Antimicrobials Division, along with the  
13 assistance of the Association for Professionals in  
14 Infection Control, APIC, have developed a series of  
15 survey questions that can be tailored for  
16 specialized sectors to identify gaps, identify ways  
17 to better communicate and enhance the post-pandemic  
18 EPA assessment.

19 Next slide.

20 For the overarching topic of improved  
21 communication and transparency, the workgroup  
22 recommended a basic antimicrobial document for  
23 different audiences that addresses their  
24 antimicrobial concerns and assess challenges. As a  
25 deliverable, the basic document can include some of

1 the generic information included in the one-pager  
2 that I highlighted earlier, while including greater  
3 specificity for specialized sectors.

4 Again, the survey assessment can drive the  
5 nuts and bolts of the specialized sector experience  
6 and really speaking and identifying those gaps in  
7 operation. This is another significant opportunity  
8 for industry to assist with developing the  
9 deliverables to satisfy this recommendation.

10 Next slide.

11 For consistency, the workgroup recommended  
12 that EPA share insight on their policies and  
13 practices. As previously mentioned, webinars have  
14 been ongoing throughout the pandemic, where the  
15 Antimicrobials division members, branch chiefs have  
16 consistently shared their policies, practices, and  
17 challenges. Another possible deliverable is a  
18 meeting or a document that shares these insights on  
19 a larger platform.

20 The second recommendation highlights  
21 assessing and identifying regulations and areas of  
22 conflict or synergistic disinfectant uses messaging  
23 across federal agencies. The Antimicrobials  
24 Division believes that a deliverable will consist of  
25 a list of these regulations. This, again, is

1 another opportunity for industry assistance for  
2 researching and developing a list of these  
3 synergistic and conflicting policies.

4 Next slide.

5 For the overarching topic of adverse  
6 incident reporting, the workgroup recommended  
7 developing a process for the public to report  
8 adverse product reactions, incidents, and misuses.  
9 AD believes that the development of FAQs with  
10 hyperlinks to multiple resources, that is to poison  
11 control or other poison databases, would provide a  
12 possible deliverable to address this recommendation.

13 So that sums up those recommendations that  
14 were prioritized as medium, as they were framed in  
15 yellow and they kind of help navigate us through the  
16 process from those high-priority recommendations to  
17 the medium-prioritized recommendations. So now, as  
18 we transition to the next two slides, these  
19 recommendations, as I mentioned, have not been  
20 prioritized, but are characterized as needing  
21 process development and long-term issues.

22 These recommendations require more  
23 clarification and their overarching topics are  
24 included here to include revision of the EVP  
25 guidance, to develop potentially a process for an

1 icon or logo for EVP products, expansion of EVP  
2 guidance, adverse incident reporting to expand the  
3 issue that was identified under a medium-prioritized  
4 item, sustainability, communication and education,  
5 and that's a recurring theme throughout all of the  
6 recommendations, industry specific practices and,  
7 lastly, identification of products for specific use  
8 in specific areas.

9 Next slide.

10 The recommendations bucketed as long-term  
11 parking lot issues include the overarching topics of  
12 revising certain aspects of the EVP guidance for  
13 clarification, revision and expansion of PR Notice  
14 98-10, suggestions for the Section 18 process, EVP  
15 guidance, language, and icon issues, efficacy  
16 testing, process efficiencies, novel technologies  
17 and where that plays into this universe of the  
18 Emerging Viral Pathogens Guidance, expansion of  
19 virucidal claims, expanding those uses where these  
20 products can be used, expansion of the viral  
21 hierarchy, can we consider other microorganisms,  
22 regulatory guidance for future pandemic and defining  
23 an emergency, can all of these recommendations and  
24 suggestions and deliverables speak into the space of  
25 emergencies as well. Emergency preparedness, how do

1 we manage that process through these recommendations  
2 -- communication, collaboration, industry-specific  
3 testing -- and, lastly, enforcement and  
4 surveillance.

5 Next slide.

6 So my brief journey through all of this  
7 information pales in comparison to the amount of  
8 recommendations really compiled by this group. So  
9 as we consider next steps, we anticipate the  
10 following. We anticipate sunseting this Emerging  
11 Pathogen Workgroup. These folks have done an  
12 amazing amount of work at -- but all objectives have  
13 been met, resulting in an extensive list of  
14 recommendations.

15 We anticipate the formation of a new  
16 workgroup under PPDC with a new name and a new  
17 charter. So we haven't settled on the name yet, but  
18 a potential name has been placed here and a new  
19 charter and to provide the EPA report and the  
20 implementation of the recommendations provided by  
21 the former PPDC Emerging Pathogen Workgroup.

22 We are looking for members, and if folks  
23 are interested in working in this implementation/  
24 operational phase of this new workgroup under this  
25 new charter, please, by all means, reach out to the

1 two co-chairs. The emails are listed here. And  
2 you'll be amazed at what you can provide to this  
3 group to help further this effort, to help speak to  
4 maybe your potential sector and how it's impacted or  
5 how it's impacted through this season, and what  
6 resources are needed, through experiences, through  
7 challenges, through wins as well to further move  
8 this group forward and to really better understand  
9 collectively the effectiveness of this document and  
10 where process improvements need to take place.

11 Next slide.

12 So as this group sunsets, we want to leave  
13 a couple of thoughts -- or we had a couple of  
14 thought starters and a couple of work products that  
15 we want to kind of leave as, I guess, our closing  
16 ceremonies in a sense.

17 For charge question number 1, and that was  
18 the charge question that focused on the strengths  
19 and weaknesses of the Emerging Viral Pathogens  
20 maiden voyage, if you will, for charge question  
21 number 1, the group worked on possibly clarifying  
22 the trigger criteria, considering or integrating an  
23 emergency into this space and how and what  
24 implications that would have for the documents and  
25 the recommendations that we are making, and then

1 finally potentially expanding the viral product  
2 eligibility criteria, so what would that look like  
3 if we expanded into other products that -- in this  
4 space as it related to an emergency or an outbreak  
5 situation.

6           With charge question number 3 -- and  
7 that's one that is very near and dear to my heart  
8 because it really focused on education, it focused  
9 on, you know, the gaps in what we did, how did we  
10 effectively communicate what the EVP was, was it  
11 useful, what were the challenges therein, you know,  
12 with communication, what were those gaps. And so to  
13 address charge question number 3, we really hoped to  
14 reach out to different sectors. In the past, we had  
15 a lot of representation from the transportation  
16 industry, the sector. We had airline. We had  
17 ground transportation. We had folks in the academic  
18 space.

19           And so just really leveraging it, pulling  
20 all that information from these different groups  
21 and, as I mentioned, potentially expanding that  
22 outreach or expanding that information from other  
23 sectors and gathering all that information into  
24 surveys so we can really assess what we did, what we  
25 did well, and what we can do better going forward, I



1 think, is really important

2 So those are the four main nuggets of  
3 information that we have compiled as part of our  
4 final efforts in this Emerging Pathogen Workgroup  
5 that may be useful for that new group when it's  
6 formed to continue this process.

7 Next slide.

8 So this is our final question to the PPDC  
9 membership. Does the PPDC support the establishment  
10 of a new workgroup with a new charter and the  
11 proposed duration of this workgroup is listed then?  
12 But that's our final question that we want to pose  
13 to PPDC membership as we close and, again, I just  
14 want to definitely say it's been a pleasure to co-  
15 chair this group. These folks have worked  
16 tirelessly and they have provided a very robust,  
17 well-cited, well-vetted document, and I'm excited  
18 about the next steps and what's to come.

19 So I'll close there. Thank you.

20 DANNY GIDDINGS: Well, thank you, Tajah,  
21 and apologies for the interruption before, but thank  
22 you for that presentation and thank you for the  
23 question for the group.

24 Let's now move into a discussion with the  
25 PPDC. And I first want to bring in a comment from

1 Dawn Gouge from the chat who says this group  
2 generated a tool that rapidly evolved into a  
3 superlative resource. List N is widely used by a  
4 highly diverse group of stakeholders on behalf of  
5 environmental workers. Thank you.

6 TAJAH BLACKBURN: Oh, thank you.

7 DANNY GIDDINGS: And she, of course, also  
8 supports, it looks like, the creation of a new  
9 workgroup on this as well.

10 So with that, let's hear from the rest of  
11 the PPDC. If you would like to be recognized to  
12 provide comment or question, please use the raised-  
13 hand function in Zoom and I will call on you in the  
14 order that you raise your hand just like before.  
15 And again -- and I'm checking myself on this as well  
16 -- please note our cadence and please speak slowly  
17 and clearly so that our Spanish interpreters can  
18 provide an accurate and meaningful translation.

19 So with that, we'll take some questions.

20 It looks like Marc Lame has his hand up.

21 Marc, you're recognized to speak.

22 MARC LAME: Thanks, Danny.

23 That was just an outstanding presentation  
24 and please allow me to say that I have really missed  
25 the presentations by the experts from EPA. Just a

1 wonderful group of scientists and presenters. So  
2 it's a pleasure to see this.

3 It would come as no surprise that I agree  
4 with Dr. Gouge that this is a great tool and it  
5 probably -- the workgroup should be continued as far  
6 as implementation goes. With that, I have some  
7 questions and comments.

8 My concern all along -- and I was part of  
9 the public health workgroup a while back, so I'm  
10 playing catch up a little bit for the last five  
11 years, although I have read the reports.

12 You know, when you develop a tool like  
13 this, there's always a potential to have an  
14 umbrella, and what I mean is, is this limited to  
15 emerging viruses only, what about other pathogens,  
16 what about vector-borne diseases, and the reason I  
17 say that is because when we're talking the products  
18 themselves, that's one thing, but when we're talking  
19 education and dissemination and, you know, what is -  
20 - when you're going to have to get into  
21 implementation, many of those same people and skills  
22 cut across these things. And so I would hate to see  
23 this limited to emerging viruses.

24 So I recommend that you look at other  
25 pathogens, you know, keeping in mind that the worst

1 pandemic in human history that we know of was a  
2 bacterial pathogen and it was vector-borne and  
3 that's the Bubonic Plague. So stuff happens over  
4 and over. So I would hate to waste the agency's  
5 expertise or the expertise of this panel by limiting  
6 it to viruses or to disinfectants for that matter.

7 And along those lines, I have some concern  
8 that whether it's disinfectants, or whether it's  
9 more traditional pesticides, there's two types of  
10 error that we have when we have a pandemic that can  
11 be addressed with these kind of products. One is  
12 to not use them and the other one is to misuse them.

13 And so one of the things that we have seen  
14 in the past -- and we've seen many, many times -- is  
15 the correct use for mosquito-borne diseases and  
16 attacking mosquitoes, but also the incorrect use.  
17 During the pandemic, I think one of the things that  
18 we saw was the incorrect use of disinfectants,  
19 including by giving disinfectants to students and  
20 allowing those children to use them in classrooms.  
21 So we need to look at that and we need to look at  
22 secondary effects of those products in the  
23 ecosystem, whether that be a school ecosystem or a  
24 more natural ecosystem. So I think that's  
25 important.

1           So I think that this new group ought to  
2 also broaden its look at risk reduction strategies  
3 instead of relying on products and that, of course,  
4 you know, cuts back to Rachel Carson. So, you know,  
5 this goes way back. And when we think of risk  
6 reduction, we can't just think about reducing risk  
7 through using other products. And that's something  
8 that needs to be done.

9           And my final two comments have to do with  
10 in agencies sometimes one of the things that are  
11 done -- and in municipalities and states -- is they  
12 develop permanent hot teams. Where those experts  
13 are in place when things happen, they can be dropped  
14 into a hot zone immediately to do things, instead of  
15 having to gear up over a period of time, a/k/a, the  
16 definition of emergency or crisis. I would  
17 recommend that to be addressed and then -- in  
18 expanding that charter.

19           And then, finally, I would like to see --  
20 and I don't know if this group or another group  
21 would do it -- is looking at a postmortem of the  
22 agency's pandemic response so that there can be a  
23 post-pandemic hot team put together on where they  
24 did things right and where they did things wrong,  
25 not that the agency could ever do anything wrong,

1 but just in case.

2 So I appreciate you giving me the time.

3 I'm sorry if I took too much up, but that's why I  
4 write notes. Thank you.

5 DANNY GIDDINGS: Thank you, Marc.

6 Tajah, did you have anything in response  
7 to Marc's comments or should we go on to the next  
8 comment?

9 TAJAH BLACKBURN: I just want to say that  
10 the transportability of a lot of the things that we  
11 are anticipating addressing through not only a viral  
12 outbreak, but through an emergency situation, and  
13 really defining what an emergency looks like, too,  
14 because that may not just be organism-specific, it  
15 may be, you know, supply chain issues and maybe  
16 these other challenges, it may be a natural disaster  
17 of some sort. And so just really making sure that  
18 when we think about these documents and we think  
19 about our response, we think about it collectively,  
20 even though our motivation or our initial -- that  
21 impetus, that starting point was that Emerging Viral  
22 Pathogen Guidance, and then how we did that.

23 But all of these, what you mentioned,  
24 especially the relevance to other pathogens, other  
25 situations, it's really kind of birthed out of those

1 discussions. And so I really appreciate you  
2 mentioning that because that brings me back to, you  
3 know, some of those early primitive conversations  
4 that we were having about this document and what to  
5 do and some of the things we still weren't able to  
6 address, you know, when we were having these -- I  
7 wouldn't even say philosophical conversations, but  
8 we were just, you know, thinking about the  
9 challenges beyond just this virus. So I appreciate  
10 these.

11 Thank you.

12 DANNY GIDDINGS: Thanks, Tajah.

13 So John Botorf (phonetic), I just want to  
14 acknowledge your comment in the chat and we will  
15 follow up with you on that. And I also want to ask  
16 Dr. Blackburn again, because it sounds like we might  
17 have some interest in getting involved in this  
18 workgroup or the workgroup that comes out of it, can  
19 you repeat for us how someone might express their  
20 interests in getting involved in the workgroup that  
21 may be born out of this initial effort.

22 TAJAH BLACKBURN: But of course. I don't  
23 know if it's -- I can put in the chat as well, but  
24 you can email me directly at  
25 Blackburn.Tajah@epa.gov. So that's B-L-A-C-K-B-U-R-

1 N.T-A-J-A-H@epa.gov. But I can definitely drop my  
2 information in the chat, as well as Komal Jain. I  
3 can include her information as well.

4 DANNY GIDDINGS: Wonderful. Thank you.

5 Nathan Donley, you have your hand up.

6 NATHAN DONLEY: Thank you for your  
7 presentation, Tajah. It was really, really good to  
8 see.

9 I did want to just reiterate what Marc  
10 said about risk reduction. I think that's an  
11 incredibly important part of this.

12 And then my last thing is probably due  
13 more to a lack of knowledge on my part of this  
14 issue, but it seems like the workgroup's focus is  
15 mostly on chemical means of disinfecting, usually  
16 probably surface disinfectants, and getting those  
17 listed through List N. And I think, you know, for  
18 many pathogens, that is incredibly important. But  
19 one of the big ironies of the COVID-19 pandemic is a  
20 lot of the surface disinfectants turned out to be  
21 not really all that necessary in preventing  
22 transmission because service transmission is so  
23 rare.

24 And so I'm wondering if -- I imagine EPA  
25 has some oversight on things like pesticide devices



1 that -- like I'm envisioning like a UV sterilization  
2 component hooked up to some sort of enhanced  
3 filtration technology that, you know, could  
4 potentially be incredibly efficacious at preventing  
5 an airborne pathogen much more so than a surface  
6 disinfectant, but may need to be registered as like  
7 some sort of pesticidal device or at the very least  
8 have claims of efficacy, you know, vetted by the  
9 EPA.

10 So is there authority that EPA has over  
11 some of these -- I don't want to call them  
12 nonconventional because they're really not, but  
13 maybe nonchemical means of pathogen reduction that  
14 could be, you know, included as a focus of this  
15 workgroup.

16 TAJAH BLACKBURN: Well, yeah, as you  
17 mentioned, we did focus primarily on the chemicals  
18 as they relate to EPA's regulatory oversight.  
19 Pesticides, it doesn't fall under our regulatory  
20 authority and we do have a Device Determination  
21 Workgroup that sifts through, you know, the universe  
22 of pesticides that exists to better understand, you  
23 know, are they making pesticidal claims and should  
24 they have data to support those. But as far as a  
25 registration process for pesticides that does not

1 exist in the antimicrobial pesticide space, if you  
2 will.

3 NATHAN DONLEY: Thank you.

4 TAJAH BLACKBURN: No worries.

5 ED MESSINA: Nathan, your question is a  
6 good one and it opens up like a whole 'nother branch  
7 of --

8 TAJAH BLACKBURN: It does. I'll let you  
9 have it, Ed.

10 ED MESSINA: So for devices, people who  
11 are selling those devices do not come into the  
12 agency to register them in advance. They need to  
13 have data that shows that they are efficacious  
14 against the claims that they're making. There were  
15 a large -- there were a number of enforcement  
16 actions against people making device claims for  
17 SARS-CoV-2, cleaning the air, if you will, and there  
18 was sort of, you know, an enforcement update or now,  
19 you know compliance assistance put out there.

20 So we are sometimes in the position where  
21 somebody asks us does this device work and  
22 programmatically we don't really know the answer to  
23 that because we don't do a review of the efficacy of  
24 devices. It's only after the fact, if an  
25 enforcement action comes about, that we might assist

1 the enforcement office to say, well, yeah, this may  
2 or may not work. So it's a big issue, it's a big  
3 area of discussion related to sort of devices and  
4 disinfection.

5 So your question is a good one and it's an  
6 area that we've been pondering for some time.

7 DANNY GIDDINGS: Thank you all. I do note  
8 -- I note that we are getting some questions from  
9 the public in the Q&A. We'll reserve those until  
10 the public comment session at the end of the day,  
11 but I do want to acknowledge that we've received  
12 your comment, Heather, and if you would like to  
13 provide that comment verbally starting at 4:30.  
14 Please let us know and we can try to work you into  
15 the queue.

16 ED MESSINA: Yeah, in the time we have  
17 left, Danny, I think maybe we could, in terms of  
18 taking care of business -- I don't see any other  
19 hands raised. One thing would be if somebody wants  
20 to make a motion to -- in terms of process, how it  
21 would work, you know, for any things related to the  
22 PPDC. So someone would make a motion, someone would  
23 second it, and then we would do it through a vote.

24 And, Danny, I don't know what your  
25 preference is for people maybe to type into the chat

1 whether they are yea or nay or raise their hand yea  
2 or nay. We can do either in terms of a count, but  
3 there is a standing question to the PPDC currently  
4 as to whether to form a new workgroup related to  
5 implementation, and so we can see if anybody wants  
6 to make a motion for that to happen and then a  
7 second and then we can vote.

8 I'll kick it back to you, Danny, to see  
9 what you'd like to do.

10 DANNY GIDDINGS: Yeah, let's have someone  
11 -- if you'd like to make a motion for a vote, please  
12 raise your hand and be recognized to create that  
13 motion, and then let's actually do the vote within  
14 the chat.

15 So I see Lisa Dreilinger has her hand up.  
16 Are you raising it to make a motion?

17 LISA DREILINGER: Yes, I'd like to make a  
18 motion to create a workgroup for implementation of  
19 the EVP -- the EVP PPDC workgroup.

20 DANNY GIDDINGS: Thank you, Lisa.

21 Procedurally, I'm not sure if we need a  
22 second, but I'm wondering if that's what Joe's hand  
23 is up for.

24 JOE GRZYWACZ: That's exactly what it was  
25 up for.

1           DANNY GIDDINGS: Wonderful.

2           All right. So let's take a vote. You can  
3 vote by entering your yea or nay in the chat and  
4 please --

5           ED MESSINA: I think, if we might, if  
6 there's time for discussion --

7           DANNY GIDDINGS: Would this be to everyone  
8 or would it be to the hosts and panelists?

9           ED MESSINA: Just to the --

10          MARC LAME: I was just going to add a  
11 friendly amendment.

12          ED MESSINA: Yeah, friendly amendments,  
13 too. We can maybe have time for discussion before  
14 we take the vote, Danny.

15          MARC LAME: A friendly amendment to  
16 broaden the workgroup's name to just pathogens or  
17 vector -- and vector-borne pathogens, something to  
18 that effect, to go beyond viral.

19          ED MESSINA: Is there a second?

20          DANNY GIDDINGS: Jessica?

21          JESSICA PONDER: I would second that.

22          ED MESSINA: Okay. Danny, can you type in  
23 the chat what the vote is or Shannon or somebody and  
24 then all the votes -- please don't vote yet -- and  
25 then after that -- we put that in the chat, we can

1 have a record of the yeses and what the thing is  
2 that we voted on with the specific wording. And  
3 then we'll make sure we capture the exact wording  
4 that folks are interested in suggesting.

5 DANNY GIDDINGS: So what I've captured is  
6 we're voting on a motion to create a new workgroup  
7 and broaden the name of that workgroup to vector  
8 pathogens implementation. Is that when I heard from  
9 Marc and what was seconded?

10 ED MESSINA: So one question would be,  
11 Marc, if you wouldn't mind, that the current  
12 workplan or the current proposed actions from the  
13 prior workgroup were very specific, you know,  
14 towards the emerging viral pathogen piece, and now  
15 this new workgroup would be on implementation. Is  
16 your comment to expand the name to expand  
17 implementation of other ideas or is it really just  
18 to capture the fact that this workgroup might be  
19 doing more related to the current implementation  
20 plan.

21 MARC LAME: Good question, Ed. Yeah,  
22 because it does open all of that stuff up. I would  
23 say that it would begin by like taking what the  
24 workgroup has currently done and put that into  
25 implementation, but with the idea that that

1 implementation could be expanded to other pathogens  
2 and even strategies. I did note that in the  
3 presentation that there was -- you know, they --  
4 expansion was mentioned, but also the idea of new  
5 thing coming up. And so I just want to -- you know,  
6 that needs to always be part of it.

7 ED MESSINA: And then would that be in the  
8 antimicrobial space or were you thinking this would  
9 also be expanded to conventional and biopesticides,  
10 or is it still within the AD Division? Because that  
11 would be a different shift. I just wanted to get  
12 clarity on where your thoughts were there.

13 MARC LAME: I think it should be expanded  
14 beyond antimicrobials. I understand, you know, the  
15 idea of keeping it in there, and if that's what  
16 folks want, you know, I'm okay with that. I just  
17 think there's a real potential. And, you know, the  
18 office has silos, but they're not that big. And I  
19 think, you know, it has the potential for some  
20 outstanding results. So that's my opinion.

21 ED MESSINA: So what if -- I want to make  
22 sure I capture your concept. What if -- Danny, if  
23 you want to sort of take this note. So it would be  
24 to form a new whatever you called it, workgroup, for  
25 implementation which would further refine the prior

1 recommendations and how to implement those and look  
2 for ways for how those ideas of implementation could  
3 be translated for other programs within OPP.

4 How does that sound, Marc?

5 MARC LAME: That sounds really good. And  
6 I would say that it even, you know, could, you know,  
7 in some ways, depending on how it's done, be a model  
8 that goes beyond OPP. But, you know, one thing at a  
9 time, Ed.

10 ED MESSINA: Thanks, Marc. Appreciate  
11 it.

12 Okay. So I think that's your question,  
13 Marc. You're adopting that language.

14 MARC LAME: Yes.

15 ED MESSINA: And then does anyone want to  
16 second that language?

17 DANNY GIDDINGS: So I want to recognize  
18 Dave Tamayo first. But I don't know if there's  
19 anyone -- if we should get a second on that language  
20 first.

21 ED MESSINA: Up to you, Danny, and Dave.

22 DAVE TAMAYO: Well, actually, I kind of  
23 wanted to speak to what Marc is suggesting, but you  
24 were just saying that you wanted to read that out so  
25 that -- because I want to make sure that I



1 understand what I'm commenting on. I have some  
2 concerns.

3 ED MESSINA: Yeah. Great.

4 DANNY GIDDINGS: So let me read out what  
5 was just established from Marc's comments, and then,  
6 Dave, I'll turn it over to you.

7 So this is a motion to vote to form a new  
8 workgroup for implementation, which would further  
9 refine the prior recommendations and how to  
10 implement those and look for ways for how those  
11 ideas on implementation could be translated for  
12 other programs in OPP.

13 DAVE TAMAYO: Okay. Yeah, I guess, you  
14 know, I did have some concerns about expanding the  
15 work of this particular workgroup to beyond  
16 antimicrobials. I don't disagree with Marc that  
17 that there needs to be some sort of a plan for if  
18 there's something like a vector-borne disease, like  
19 Bubonic Plague or, you know, something really  
20 happening fast with mosquito-borne diseases, but  
21 that's a very different type of pesticide, it's a  
22 very different type of pest management regime. And  
23 I think, you know, I would be open to this workgroup  
24 really sort of focusing on how would one expand it  
25 to considering other types of pathogens from an

1 antimicrobial perspective.

2           But I think that it would just -- I think  
3 it might be kind of a reach for people who work in  
4 antimicrobials to start thinking about what would be  
5 the -- how would the EPA respond to the need to,  
6 say, control mosquitoes or control rats or some  
7 other form of vector, not to say that there  
8 shouldn't be some consideration of that, but with  
9 respect to this particular workgroup, it seems like  
10 it would dilute the effectiveness of the workgroup  
11 to expand beyond antimicrobials.

12           ED MESSINA: Thanks, Dave.

13           DANNY GIDDINGS: Thanks, Dave.

14           Let's see, Joe Grzywacz, was up, but he's  
15 lowered his hand. So Jasmine.

16           JASMINE BROWN: I just had one comment as  
17 well. The new motion, as it stands, is really long  
18 and a bit vague. I think the idea of that really  
19 needs to be put into the workplan and maybe not so  
20 much the motion. The workgroup, though, I do feel  
21 like biopesticides, conventional pesticides, and  
22 disinfectants are all already happening and so to  
23 exclude those would be a bit ignorant on our  
24 workgroup's part.

25           And I'm not saying not to separate them

1 out, but I think they're already happening. Monkey  
2 pox and other emerging pathogens are already upon  
3 us. And so, if we can take what we're doing and make  
4 it apply to other emerging things as well as the  
5 existing COVID or whatever, I think it would be  
6 great.

7 ED MESSINA: Jasmine, do you have -- thank  
8 you for that. Do you have suggested language  
9 changes for the group?

10 JASMINE BROWN: I don't, Ed. I think the  
11 group could be called whatever they want to be  
12 called. I think it's just a matter of what they  
13 want to work on in their workplan under the  
14 workgroup.

15 ED MESSINA: Mm-hmm. Okay. Joe?

16 JOE GRZYWACZ: So I just simply wanted to  
17 chime in from the point of view of we grappled -- I  
18 was on this working group and we kind of grappled  
19 with when does it turn on and when does it turn off,  
20 and I've heard lots of people commenting on both the  
21 pluses and minuses of it and I think -- and I'll  
22 let, Tajah, you know, make sure I don't mess things  
23 up too badly, but I think the spirit of the idea was  
24 fundamentally, you know, should some of the  
25 recommendations, should some of the points that the

1 group is trying to move forward, should it only be  
2 restricted to things like a COVID outbreak or, where  
3 necessary, can there also be extensions.

4 I mean, at the time, we were working with  
5 when the supply chain had shut down because of the  
6 winter storm in Texas. And we were like, okay,  
7 well, when there's a natural disaster like that,  
8 when does, you know, references to the N List and  
9 some of the other things come into play, and we  
10 thought that there might be some utility for our  
11 thinking that would go beyond the microbial space.

12 And so I hear both the boundaries that are  
13 being suggested by people, but I also think that  
14 there is some synergy that could be gained by  
15 expanding the list or the name of the group. So I  
16 just wanted to throw that out for people's  
17 consideration.

18 ED MESSINA: Thanks. I have a potential  
19 solution for the group, which is maybe we do -- sort  
20 of we do the motion and then we maybe vote on some  
21 amendments.

22 So Danny, the first amendment -- the first  
23 motion would be to form a new workgroup for the  
24 implementation of the current recommendations. We  
25 could then do another vote on whether to add that

1 the workgroup provide recommendations on how to  
2 implement and expand those to antimicrobial  
3 products. And then the third recommendation would  
4 be -- and the group could examine how to expand on  
5 conventional and other sort of pesticides, because I  
6 am hearing the back-and-forth between, you know,  
7 one, we -- this group really is -- you know, they've  
8 got a lot of recommendations in front of them that  
9 need to be looked at about how they would be  
10 implemented. There's certainly a pretty heavy lift.

11 But it does make -- you know, I'm hearing  
12 the other side, too. So you could argue to focus on  
13 that, but you could also focus on expanding it to  
14 certainly things that are beyond that within  
15 antimicrobials. And then I think I heard another  
16 order of increase which would be expand it to beyond  
17 antimicrobials.

18 So that would be my suggestion, but I  
19 would leave it to the PPDC to see if anyone wants to  
20 make any motions or second any motions and then how  
21 you guys would like to vote on this.

22 DANNY GIDDINGS: Lisa Dreilinger.

23 LISA DREILINGER: I will second Ed's  
24 suggestion. Ed can't technically make a motion, so  
25 I'll make a motion for Ed based on Ed's proposal.

1           I agree that it's been a heavy lift on  
2   that workgroup to sort of come out of just viruses  
3   and it's not something that wasn't considered.  
4   That's why the definition of emergency and the  
5   implications of that definition and who and what it  
6   would have applied to have been a huge topic of  
7   discussion. It is not that the workgroup disagrees  
8   with the recommendations.

9           I think we're going to need -- I agree if  
10   we're going to take it out of just antimicrobials,  
11   we are going to need different agency resource to  
12   help us do that.

13           Although, Tajah -- I will second Tajah has  
14   been phenomenal but I don't think just Tajah can do  
15   that alone. Sorry, Tajah, your hand is up.

16           TAJAH BLACKBURN: Well, thank you. I just  
17   want to say that, yeah, we have those preliminary  
18   discussions about operating in the antimicrobial  
19   space and a lot of the discussions and the  
20   recommendations, both centric to the antimicrobials  
21   space, can be potentially lifted to other pathogens  
22   and other threats as well. But I think really  
23   developing this as a model first on this level makes  
24   sense. Before we challenge what we're doing with  
25   other implications, we're still keeping, I guess,

1 our eyes and mind open to those other challenges  
2 that may prove -- may benefit from the work that  
3 we're doing in this setting. But I think expanding  
4 it now introduces a unique challenge for which may  
5 get lost in making it so big, so fast.

6 Thank you.

7 DANNY GIDDINGS: Thanks, Tajah.

8 So, Ed, it sounds like -- let me see, let  
9 me (inaudible).

10 Are we then going to vote on three  
11 separate motions?

12 ED MESSINA: That depends on what the PPDC  
13 would like to do. I think we had -- I think Lisa  
14 made that motion. We can ask for a second and then  
15 we can vote.

16 Is there a second for that motion to --

17 JASMINE BROWN: I'm sorry. Danny, can you  
18 repeat the three motions on the table?

19 DANNY GIDDINGS: Yeah. And, Ed, I'm going  
20 to need help with the last two because I am not as  
21 fast as our Spanish interpreters and I wasn't able  
22 to capture what you were saying.

23 But the first motion is to -- a motion to  
24 form a new workgroup for the implementation of the  
25 current recommendations.

1           I believe the second motion is a motion  
2     for the workgroup to expand the recommendations to  
3     other antimicrobials. Is that right?

4           ED MESSINA: Yes.

5           Okay. And then the third motion would be  
6     -- and if you can dictate that for me.

7           ED MESSINA: It would be beyond  
8     antimicrobials to include conventional --

9           DANNY GIDDINGS: That's what I thought.

10          ED MESSINA: Conventionals and  
11     biopesticides.

12          Dawn?

13          DAWN GOUGE: Thank you, Ed.

14          So I just wanted to make a suggestion. I  
15     love the thought of developing the model idea and  
16     I'm -- because I'm part of the university system,  
17     we've been going through this whole process. We  
18     decided we would have an action-after-action report  
19     put together indicating, you know, what works on our  
20     particular workgroup with regard to risk mitigation  
21     on the university in classrooms specifically, and we  
22     realized that we hadn't yet finished dealing with  
23     the constantly changing environment yet anyway.

24          Now, everybody's taken their finals and  
25     they're all going home. So that's fantastic that



1 the students get to leave. So at some point, our  
2 workgroup will develop an after-action report and I  
3 just love the idea that Tajah and her team would be  
4 able to list out the elements that worked so very  
5 well for their workgroup. And with that model, we  
6 could then certainly tackle other pathogens, and  
7 back to Marc's original point about expanding this  
8 in grand style, not to imply that I think Tajah and  
9 her exhausted team, no doubt, needs to do all of  
10 that, but that the elements and the people with the  
11 right expertise could come together at a moment's  
12 notice and know what they were doing in response to  
13 a new event.

14 Thank you.

15 ED MESSINA: Thank you, Dawn.

16 DANNY GIDDINGS: I'd like to recognize  
17 John Wise.

18 JOHN WISE: I just want to second the  
19 first motion, which was to open a workgroup to  
20 implement what the previous workgroup had developed  
21 and recommended.

22 ED MESSINA: Okay. So at this point, we  
23 can vote on the first motion or we can -- is there a  
24 second for the motion that Lisa made, which is to  
25 sort of vote on the first one, vote on the second

1 one, and then vote on the third?

2 John, I'm interpreting your comment to  
3 just include a -- seconding the motion just to vote  
4 on the first one.

5 JOHN WISE: That is correct.

6 ED MESSINA: Yeah. So at this point, we  
7 do have a first and seconded motion to vote on the  
8 first motion. We could take a vote now and then we  
9 could see if there's a second after that to vote on  
10 the second and third motion. What does the group  
11 want to do?

12 Anastasia?

13 ANASTASIA SWEARINGEN: I just wanted to  
14 second Lisa's motion.

15 ED MESSINA: Okay. So, Danny, why don't  
16 we go with a vote for the first motion.

17 DANNY GIDDINGS: Okay.

18 ED MESSINA: And then please wait until  
19 the -- repost the first motion in the chat.

20 DANNY GIDDINGS: Yep.

21 ED MESSINA: -- and then we will record --  
22 and then please vote, only PPDC members, in the  
23 chat, which would be probably how that works anyway,  
24 and then we will then proceed with the second and  
25 then the third and see which passes and which

1 doesn't.

2           DANNY GIDDINGS: All right. So I am  
3 reposting the first motion which we'll be voting on  
4 now into the chat and I'll reread it before we vote.  
5 The motion is to form a new -- the motion on the  
6 table is to form a new workgroup for the  
7 implementation of the current recommendations.  
8 Regardless, if you had entered a vote into the chat  
9 before, please enter your vote now. And, again,  
10 please just PPDC members.

11           (Pause.)

12           ED MESSINA: I'm going to -- we're going  
13 to close the voting in 20 seconds, starting now.

14           (Pause.)

15           ED MESSINA: Okay. It looks like the ayes  
16 have it. So the motion has passed.

17           Danny, can you put the second motion in  
18 the chat and then we'll vote on that?

19           DANNY GIDDINGS: Yes, we'll proceed to the  
20 second motion. The motion on the table is for the  
21 workgroup to expand their recommendations to other  
22 antimicrobials. I'm entering it into the chat now.

23           ED MESSINA: And I'm giving you one minute  
24 for voting, starting now.

25           (Pause.)

1           JASMINE BROWN: Just so I'm clear, when we  
2 say other microbials, we're just expanding it from  
3 viral to bacterial and other microbials.

4           ED MESSINA: The motion says what it says,  
5 but I think the intent was it -- was in the  
6 Antimicrobials Division, so that would include, yes,  
7 microbials and bacterial and viruses.

8           (Pause.)

9           ED MESSINA: Ten seconds of voting left.

10          (Pause.)

11          ED MESSINA: Okay, time.

12          It looks like the ayes have that one.

13          Danny, would you like to post the third  
14 one?

15          DANNY GIDDINGS: Yes, so we'll proceed to  
16 the third motion. The motion on the table is for  
17 the workgroup to expand recommendations beyond  
18 antimicrobials to conventional pesticides.

19          ED MESSINA: One minute once you put it in  
20 the chat. There we go. One minute for voting.

21          (Pause.)

22          ED MESSINA: Ten seconds for voting.

23          (Pause.)

24          ED MESSINA: Voting is closed. You want  
25 to type in closed, Danny, and then we'll know when

1 that's done. Closed.

2 Okay. We got so many right at the end  
3 there.

4 So I think, Danny, we'll give you time to  
5 tie that up and we can report out to the group. I  
6 think it was too close for me to call that one yea  
7 or nay.

8 DANNY GIDDINGS: Yeah, I think we'll need  
9 a count.

10 ED MESSINA: And we'll follow up with the  
11 group later. I think maybe we can go into our next  
12 session. Thank you, group, for your time.

13 And thank you, Tajah, for your excellent  
14 work and for this workgroup. Just an amazing job  
15 and I really appreciate you listening to the PPDC,  
16 providing feedback on the implementation and our  
17 schedule, and so I think it shows the full circle of  
18 how we can get recommendations from the PPDC, how we  
19 can respond to them and how we can -- that helped us  
20 really be better prepared for future potential  
21 outbreaks of which we are announcing another one  
22 today.

23 So thank you.

24 TAJAH BLACKBURN: Thank you, Ed. I  
25 appreciate it.

1           DANNY GIDDINGS: Thank you.

2           ED MESSINA: Thanks.

3           Our next topic we added to the agenda  
4 because of feedback from PPDC members. So I  
5 appreciate that. And this is really to provide, you  
6 know, an accounting of, you know, where is the  
7 agency with regard to electronic labels. You know  
8 that we've been doing our digital transformation  
9 internally. Part of that is really to be able to  
10 have labels that apply in the current world, really  
11 delivering potentially, you know, electronic  
12 information in the future to somebody who needs to  
13 know discrete information.

14           So rather than needing to read a 40- or  
15 50-page label and every line, you can distribute the  
16 content potentially using a phone to say I need to  
17 know what my application range is on potatoes. Or  
18 if you're somebody in the field who wants a  
19 different translation of that label, how can we use  
20 electronic systems to help with arriving at --  
21 providing information to a customer out in the  
22 field.

23           The last pieces -- and we have this in the  
24 emerging technologies workgroup, it may be that a  
25 tractor one day is reading the label and making

1 decisions about application rates. So how do we  
2 position the agency to be able to provide that  
3 metadata to whatever entity technology is going to  
4 be using it in the field, so that we have more  
5 precise applications, applications that are geo-  
6 located to specific areas of the field, recording  
7 information about the rates and usage of those  
8 pesticides in the field, so we can then cycle that  
9 back to our risk analysis and have a better  
10 understanding of actual use rates, so we can have a  
11 more refined assessment.

12 So there's a lot of benefits here. When  
13 we talk about electronic label, it really -- there's  
14 a lot of different slices of it. It's sort of  
15 making sure that the information coming into the  
16 front end is electronic, making sure we can manage  
17 it internally in electronic means, that the metadata  
18 goes along with it as it's moving through the  
19 system, and then at the end, it can be populated  
20 electronically and it can be used.

21 We can also have more automation into the  
22 system. So maybe if there's a change in the label,  
23 the system can do a query on the database and  
24 provide information to that human assessor to say,  
25 yep, this is good to go, I've checked it, this is

1 approved. And we can do more automation and gain  
2 some efficiencies, again, harkening back to our  
3 process improvements and our digital transformation  
4 to improve the efficiency of the Office of Pesticide  
5 Programs.

6           So with that, we have some speakers,  
7 including members from EPA, industry, and the  
8 states. And so with that, I will kick it over to our  
9 session chairs, Claire Paisley-Jones, and the many  
10 others that are listed on the agenda.

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25



1 PESTICIDE LABEL REFORM

2 CLAIRE PAISLEY-JONES: Thanks, Ed. That  
3 was a really great introduction.

4 I'm Claire Paisley-Jones, and I am here  
5 today to talk to you guys about OPPEL, the OPP  
6 electronic label or, as it was formerly known, smart  
7 label.

8 Next slide, please.

9 So --

10 UNIDENTIFIED MALE: Claire, you're not in  
11 English.

12 CLAIRE PAISLEY-JONES: Oh, I'm not in  
13 English? That I don't know how to fix.

14 ED MESSINA: The little world down there  
15 at the bottom.

16 UNIDENTIFIED MALE: You're good, you're  
17 good.

18 ED MESSINA: You're good.

19 CLAIRE PAISLEY-JONES: I'm good now.

20 Okay. Perfect. Okay, good. Great.

21 UNIDENTIFIED MALE: Not anymore.

22 CLAIRE PAISLEY-JONES: Is that --

23 ED MESSINA: There's a little world down  
24 at the bottom.

25 CLAIRE PAISLEY-JONES: Okay.

1 ED MESSINA: If you click on that, then  
2 you can select the channel, original audio,  
3 interpretation, select English.

4 CLAIRE PAISLEY-JONES: Okay. Is that  
5 better? English? Okay. Am I good now?

6 UNIDENTIFIED MALE: Yes, thank you.

7 CLAIRE PAISLEY-JONES: Awesome. Thank  
8 you. Sorry about that.

9 So as I was just introducing before, I'm  
10 Claire Paisley-Jones. I'm here to talk about OPPEL.  
11 We used to call this smart label. Same thing,  
12 moving on down.

13 All right. So as you know, members of the  
14 interested pesticide community, I'm sure you've all  
15 heard the expression, the label is the law.

16 Everything OPP does goes back to pesticide labels.

17 Labels are the beginning and the end of Opp's  
18 process and are touched by all divisions and  
19 employees in OPP, and it is the primary way we  
20 interact with the public.

21 However, our current label review and  
22 retrieval system is antiquated and that leads to  
23 inconsistent labels, inefficient reviews and  
24 assessments, and inefficient responses to inquiries  
25 and emergencies. Modernizing the label and how we

1 interact with it will fundamentally modernize Opp.

2 Next slide.

3 Next slide, please. Oops, sorry, go back.

4 Okay, we're good.

5 Background pain points. So I wanted just  
6 to give you guys some ideas, and I'm sure you're all  
7 aware of these, some of the reasons why we are  
8 pursuing this.

9 Reviewing labels is a slow, costly, and  
10 manual process. Labels are currently submitted as  
11 PDFs and, until very recently, as paper. No  
12 structured template means that labels have  
13 inconsistent format. And an inherently nondigital  
14 format, that's no metadata, means that data must be  
15 manually extracted into multiple databases for  
16 searching and for risk assessment, and uncontrolled  
17 vocabularies means that we have to interpret that  
18 data in order to extract it into our databases.

19 So the inevitable result of this is time-  
20 consuming inconsistent EPA reviews and  
21 interpretations, which include a lot of back-and-  
22 forth with registrants about these interpretations  
23 at various points during the registration and review  
24 process. We also have a limited ability to compare  
25 new registrations or amendments to existing

1 products, and this really just is an inefficient  
2 work process. And beyond that, once a label is  
3 registered, we can't easily answer questions about  
4 existing registrations, because we have a really  
5 limited ability to run queries.

6 Next slide.

7 So one of the solutions to these problems  
8 is structured econtent, and that's where OPPEL comes  
9 in. So with the previous name and even with this  
10 name, we're talking about electronic label, but it's  
11 really more than that. We're talking about  
12 conversion of an unstructured document into  
13 structured data, and that does include standardizing  
14 formats of labels to give you a structured label,  
15 but also includes development of standardized formal  
16 public OPP vocabulary, as well as the use of that  
17 vocabulary to delineate product use patterns by the  
18 registrant during the registration product, and  
19 that's a separate form that we call the use index.

20 And OPPEL is part of OPP's digital  
21 transformation effort, along with the expansion of  
22 the Pesticide Submission Portal, the OPP Structured  
23 Content Review Tool, which we're calling OSCR, and  
24 the Electronic Confidential Statement of  
25 Formulation, or eCSF, which many of you will know

1 piloted last year.

2           So together, these represent progress  
3 towards a scalable plan for OPP data management and  
4 access, a process to improve label review and risk  
5 assessment workflow and are part of OPP's vision for  
6 instantaneous access to quality information. And  
7 once all of these are in the system, we would also  
8 have the ability to have multiple views and inter --  
9 you know, for different content and integration with  
10 other systems.

11           Next slide, please.

12           All right. So in coming up with how we  
13 were going to, you know, build this system, we have  
14 some guiding principles. And one of those is data  
15 standardization through controlled terminology and  
16 structure. So a lot of what we were doing here was  
17 trying to ensure that the vocabulary we came up with  
18 had clearly defined business requirements. So  
19 things like can a content be clearly defined; if we  
20 collect the information, would that affect  
21 assessments; and how would capture data elements be  
22 related to one another?

23           And we spent a lot of time doing this to  
24 ensure that we were coming up with consistent  
25 approaches to development of data models that would

1 avoid silos of information that cannot communicate,  
2 which has been a really big historic problem for the  
3 program.

4 We also wanted to ensure both consistent  
5 vocabularies and concepts, allowing us to reuse  
6 vocabulary lists from forms, where possible. And we  
7 took all of that, developed a vocabulary, and put it  
8 in a centralized standard management service called  
9 Synaptica, which is a -- it's an EPA terminology  
10 service we contract with.

11 Next slide.

12 So I just want to give you, you know, a  
13 visual representation of what we're talking about  
14 with this holistic vision for econtent. So using  
15 those purposeful linking information, we can connect  
16 different forms. Even though they're collected, you  
17 know, maybe separately, maybe at different times, we  
18 want to use the same sort of vocabulary in these  
19 different forums and collect them in the same, you  
20 know, language and the same, you know, coding, so  
21 that they can talk to each other, essentially.

22 So the example with OPPEL, we have the  
23 label and the use index, and in both of those, we're  
24 collecting a registration number and that inherently  
25 links the two documents as a whole. But within the

1 document, we're also collecting structured data  
2 naming the use site, and what that's going to allow  
3 us to do is connect information in the label that's  
4 captured as prose to the metadata collected in the  
5 use index that's associated with it. And using  
6 similar things like the registration number, we  
7 would also be able to connect with the eCSF.

8           And on the right, you can see that we  
9 envision this happening across multiple data  
10 streams, so having internal and externally generated  
11 documents coming in through a central hub being  
12 reviewed and then being stored in a centralized  
13 large relational database, and that is going to  
14 allow us to do things like query and not have our  
15 queries need to be based on where that information  
16 is coming from.

17           So, for instance, we could ask a question  
18 about, you know, all products of a certain  
19 formulation and that information would come from the  
20 CSF and we could say do all of those have this  
21 restriction on them and that would come from the use  
22 index. So it would just allow us much more  
23 flexibility than we currently have.

24           Next slide, please.

25           So here's an example of sort of what we're

1 talking about with OPPEL, specifically with the  
2 labeling use index. Here on top, you can see a  
3 snapshot of the environmental hazard statement as it  
4 would appear on the label, and for this particular  
5 product, which is a maple leaf product, we have a  
6 pollinator protection box, complete with, you know,  
7 image -- we have the ability to have images and  
8 formatting in here, complete with the image of a  
9 bee. And that is what will appear on the label as  
10 rendered on the final product that, you know, a user  
11 would look at. And we're still allowing the same  
12 amount of latitude that you would have currently in  
13 entering information worded as, you know, you would  
14 want within certain bounds in that section.

15 But in addition to that, we would collect  
16 information in the use index that's inherently  
17 associated with that same section in the label that  
18 says this label has a pollinator protection  
19 statement and specifically that pollinator  
20 protection statement is do not fly while bees are  
21 actively foraging.

22 So that allows us at EPA to be able to  
23 search and say I need to make sure that all of the  
24 labels that have this formulation and this product  
25 that are used on these use sites have that statement



1 on it and be able to really easily figure out if  
2 that mitigation was consistently applied across  
3 labels.

4 Next slide.

5 So some more goals and benefits of the  
6 structured econtent. Really what we're looking for  
7 here is increased label accuracy, quality, and  
8 consistency.

9 Oops, there we go.

10 And we're going to do that through that  
11 structured label, which is going to give you a  
12 consistent format of what, you know, the final  
13 printed label would look like, but also, as I was  
14 saying before, through the use pattern index  
15 metadata that's going to capture that text as  
16 standardized usage data endpoints.

17 And it's going to do that using the  
18 standard vocabulary, meaning that from the start  
19 from registration, we're talking about a shared  
20 understanding of how we're defining the terms that  
21 are used as metadata and are able to agree initially  
22 that the text on the label -- you know, as a  
23 registrant you're saying, this is what we think  
24 we're saying in the text, using the standard  
25 vocabulary that would feed into risk assessment, and

1 we can agree right from the start that EPA agrees  
2 that is what's said in the text.

3 That standard vocabulary also allows for a  
4 fair amount of built-in validation that would happen  
5 as part of the builder before it even comes to us,  
6 and that would reduce error rates and make reviews a  
7 lot easier, getting rid of some of those just little  
8 errors of omission and things like that.

9 Building a review tool that is specially  
10 designed to intake this information is going to give  
11 us a really improved ability to access previous  
12 reviews and versions of this so that we can see  
13 exactly what's changed and to provide consistency  
14 with similar labels.

15 It's also going to give us improved access  
16 to registration information for already registered  
17 products, such as the ability to search across  
18 products, which is going to give us, you know, a  
19 much better ability to, in a timely and accurate  
20 fashion, respond to inquiries. So things like what  
21 are the universe of products that are currently  
22 labeled for COVID so that we could really quickly  
23 answer that question, which is something that's  
24 really difficult for us to do now.

25 This also is going to allow for us to do

1 things like directly upload to PPLS as soon as  
2 something is approved and that gives, you know,  
3 access to approved content in real time to everyone  
4 in the community.

5 DANNY GIDDINGS: Hey, Claire, sorry for  
6 the interruption. Can you please slow your cadence  
7 a little bit so our interpreters can --

8 CLAIRE PAISLEY-JONES: Oh, sure. Sorry  
9 about that.

10 DANNY GIDDINGS: Thanks.

11 CLAIRE PAISLEY-JONES: Sure.

12 So this will also -- you know, PPLS direct  
13 access, their usable metadata is going to give a  
14 possible connection with things like bulletins live  
15 and other systems that are already existing and,  
16 overall, this is just going to save us resources.  
17 So what we're talking about here is things like less  
18 paper, less places to store that paper, and, you  
19 know, a much better ability to move that around.  
20 And consistency and standardization is going to give  
21 us improved label comparison abilities and, overall,  
22 we're really just talking about, you know, being  
23 able to do more with less and this gives us possible  
24 decrease in contracts and backlogs for staff.

25 Next slide. Great.

1           So that structure and automation, again,  
2 gives us an increased capacity to do more so during  
3 submission and review, as well as after labels are  
4 accepted. So during that review process, we would  
5 have these industry facing builders that perform  
6 extensive data validation prior to submission. So  
7 that gives us things like if you forgot to put a  
8 yearly rate in and it's a site that we require that  
9 for, before you even submit it to EPA, it would say,  
10 hey, you have a problem here, you need to fill this  
11 in before you send it in, and that saves a bunch of  
12 time, especially on just those little errors of  
13 omission where, you know, we don't have to build in  
14 that back-and-forth time. And that's, you know,  
15 just going to make everyone's life easier.

16           And, again, that review tool will be able  
17 to identify exactly what's changed between versions.  
18 And that's going to allow EPA to be able to really  
19 focus our attention and our reviews on what's  
20 changed and have very good confidence that we know  
21 that that's all that's changed. And that also gives  
22 us the ability to maybe completely automate some  
23 types of reviews and, you know, we're thinking  
24 things like non-PRIA notifications.

25           And even with, you know, PRIA

1 notifications, this should -- the validation and the  
2 ability to identify exactly what's changed should  
3 reduce burden on EPA staff during the 21-day screen  
4 and during full reviews. And that ability to  
5 compare labels has a really important element of  
6 leveling the playing field for registrants and  
7 eliminating perceived -- you know, someone got  
8 something that we didn't get. And, overall, we  
9 expect a significant time savings to both  
10 registrants and OPP after the initial file creation.

11 After those labels are accepted, the  
12 benefits continue. So automation of data extraction  
13 and EPA databases is going to decrease our need for  
14 contracts and increase consistency in our risk  
15 assessment. So right now, we, you know, have to go  
16 through a whole process of interpreting the labels  
17 and putting that information into the system so that  
18 we can put them into the risk assessment. And  
19 sometimes very similar labels are interpreted  
20 differently or incorrectly and, you know, take away  
21 that time, as well as increase consistency there.

22 And this is going to provide the data in  
23 an easily stored and searchable format, with all the  
24 benefits, I talked before, and, also, you know,  
25 allow integration of multiple systems. And I hinted

1 at this before, but this could really easily allow  
2 us to connect labels with things like BulletinsLive!  
3 or with incident reporting because we're using the  
4 same format and language in all of those systems.  
5 It could also really make web-distributed labeling  
6 easier because of the structured content, making it  
7 just much easier to do that in a standard way.

8 We also envision enhanced cooperation with  
9 state, federal, and international partners, because  
10 of the ability to communicate faster and, you know,  
11 an ability to provide defined real-time approved  
12 content. And, overall, that would be huge. And we  
13 also think that this will give us a better ability  
14 to efficiently and accurately respond to inquiries  
15 and emergencies.

16 Next slide.

17 So I know a lot of you will know that  
18 we've been working on this for quite some time and I  
19 wanted to give you an idea of where we are now and  
20 the path forward. Right now, we're working on  
21 wrapping up IT development of the review tool and  
22 database, and we're largely done with the builders.  
23 But that doesn't mean that we're quite there yet.  
24 We really need to think about implementation because  
25 it's going to be a challenge. We have a whole lot

1 of registrations and a lot of them are very  
2 complicated.

3 Some of you who have been involved in the  
4 project for some time may know that we started this  
5 with FDA and that FDA has a similar program. You  
6 know, when you go to the the drugstore and you pick  
7 up an over-the-counter bottle, all the labels look  
8 the same, and that's because of this program that  
9 they have.

10 How FDA handled their call-in was to give  
11 everyone a year to transform their previous version  
12 of their labels into the new version and they  
13 essentially just assumed that all of the submissions  
14 were correct and did, you know, some spot-checking,  
15 but there was a lot of assumption that the  
16 information was translated correctly.

17 Our labels are a lot more complex than  
18 some of those FDA labels. They're certainly much  
19 longer and we aren't starting with as much  
20 standardization as FDA had. And that means that OPP  
21 will likely want to assist registrants with entry  
22 and check submissions. And in order to do that, we  
23 first need to train OPP staff on the new vocabulary  
24 structure and tools.

25 We also want to acknowledge that initial

1 review of OPPEL files may take longer than  
2 traditional PDF reviews because what we're really  
3 talking about here is having to take an existing  
4 label and translate it into this new format, as well  
5 as code all that metadata, and we understand and  
6 fully anticipate that that could take a little  
7 longer, you know, submitting an amendment that way  
8 the first time, rather than, you know, just the  
9 traditional way. But we do envision that subsequent  
10 reviews would be much, much faster because they can  
11 rely on that validation and comparison I talked  
12 about before, and even in some cases, be fully  
13 automated.

14           So we really need to think about how we  
15 would do this call-in and there's lots of ways that  
16 we could do it. We could pursue rulemaking or we  
17 could have voluntary submissions. We could ask for  
18 everything from a day forward to be submitted in a  
19 new format or we could purposefully request specific  
20 types of registrations, possibly by AI for ESA or  
21 new AIs or something that's going through  
22 registration review so that we would see the full,  
23 you know, comparative benefits. There's just a lot  
24 of ways we could go about it.

25           We also need to establish formal



1 governance for vocabulary maintenance and training  
2 and outreach to make sure that, you know, everyone  
3 is on the same page and any updates that need to be  
4 made or made consistently. So a considered and  
5 purposeful implementation is really going to be key  
6 to the success of this project, and we're actively  
7 working on that right now.

8 Next slide.

9 I do want to acknowledge all of the  
10 stakeholder involvement we've had in this so far. I  
11 know you all know we've been working on this for a  
12 number of years. We've had a lot of communication  
13 with states and some international governments,  
14 including Canada's PMRA. We've had a lot of  
15 outreach to the regulator applicator and trade  
16 organizations over the years through meetings like  
17 this. We've had a public webinar and we've done  
18 various levels of piloting with a number of  
19 registrants.

20 And you can see here on the right those  
21 registrants and you can see some overlap between  
22 this eCSF and the OPPEL pilot. But what I want you  
23 all to notice about both of these is that we've  
24 tried really hard to include, you know, not only  
25 those much bigger registrant companies, but also

1 some smaller ones, and we also wanted to make sure  
2 we were not just looking at conventionals, but also  
3 at antimicrobials and biologicals. And the reason  
4 that we did this is we wanted to make sure from the  
5 start that we were really including the whole  
6 registrant community in ensuring that the products  
7 that we're coming up with would work not just for  
8 big companies and not just for conventionals, but  
9 hopefully for everyone.

10 Next slide, please.

11 I also want to acknowledge the current  
12 workgroup members and very similarly to what we were  
13 trying to do with the pilot registrants, you can see  
14 here that we have team members from all of the  
15 divisions in OPP and, again, we were doing that to  
16 ensure that the products we're developing serve the  
17 needs not just of, you know, registration, but also  
18 of reregistration and the risk assessment and of,  
19 you know, the ability to answer inquiries about  
20 emerging diseases and things like that. And so we  
21 really strived throughout this process from very  
22 early on to include internal stakeholders from all  
23 of those groups.

24 So this is the current list of the people  
25 who are involved and it is only a fraction of the

1 people who have been involved over the years.

2 Next slide, please.

3 I also wanted to provide you guys with  
4 some context and resources if you wanted more  
5 information. Our website contains information about  
6 OPPEL, the pilot and background documents. One of  
7 the things you might be particularly interested in  
8 is that vocabulary that we developed, which defines  
9 all of the metadata that would go into the use index  
10 and is essentially anything that would go into risk  
11 assessment or querying, and that is available on  
12 that website already publicly for you to look at.  
13 Comments are very much welcomed.

14 We're providing you all, with the slides,  
15 but if you search EPA OPPEL, it's the first page  
16 that comes up. You can also email us any questions  
17 you might have or comments at [smartlabel@epa.gov](mailto:smartlabel@epa.gov).  
18 We changed the name of the project, but we're  
19 sticking with the same email.

20 I also wanted to provide you some links  
21 for information to the FDA Program just so you can  
22 sort of see what a fully-fleshed-out, been-in-  
23 practice-for-over-a-decade program really looks like  
24 and what that entails. So they have some background  
25 information available at that link.

1           But one of the things I think you all will  
2           find very interesting is their query tool, which is  
3           that second link, and that really demonstrates well  
4           the kinds of things and the kind of searches that  
5           you can do with that metadata that goes across  
6           different forms and things like that. And it's a  
7           really robust, really interesting tool that I think  
8           you guys would find really interesting. And the  
9           implications of having a similar tool for OPP are  
10          huge.

11           Next slide. And that's it for me.

12           DANNY GIDDINGS: Thanks, Claire. And I  
13          believe we now have a presentation from our  
14          colleague from Syngenta.

15           SHANNON JEWELL: Actually, Danny this will  
16          be the AAPCO presentation here.

17           DANNY GIDDINGS: Oh, right.

18           SHANNON JEWELL: No worries.

19           LIZA FLEESON TROSSBACH: Good afternoon.

20          Can you hear me?

21           SHANNON JEWELL: Yes, Liza.

22           LIZA FLEESON TROSSBACH: Okay, thank you.

23           UNIDENTIFIED MALE: You're not in the  
24          English channel.

25           LIZA FLEESON TROSSBACH: Am I English now?

1 UNIDENTIFIED MALE: Yep, thank you.

2 LIZA FLEESON TROSSBACH: Okay. Well, good  
3 afternoon. I'm Liza Fleeson Trossbach with the  
4 Virginia Department of Agriculture and Consumer  
5 Services, Office of Pesticide Services, and I am the  
6 current President of the Association of American  
7 Pesticide Control Officials, or APPCO. And I'm  
8 going to be presenting kind of a high-level summary  
9 of APPCO's label improvement project.

10 Of course, Megan Patterson is our PPDC  
11 representative, and she's participating in this call  
12 as well and is available to answer questions and/or  
13 just, you know, add in with anything that she thinks  
14 I missed. And so we're excited to be able to  
15 present to the PPDC about our activities.

16 I was the previous PPDC representative and  
17 I -- and we have in the past --

18 UNIDENTIFIED MALE: Excuse me.

19 LIZA FLEESON TROSSBACH: -- talked a  
20 little bit about this project.

21 ZOOM SUPPORT: Liza, Liza, would you  
22 please speak slower for the interpreter?

23 LIZA FLEESON TROSSBACH: Of course.

24 ZOOM SUPPORT: Thank you.

25 LIZA FLEESON TROSSBACH: Of course. My

1       apologies.

2                   I have presented information about the  
3       Label Improvement Project in the past, but I know we  
4       have new PPDC members, and this is certainly a new  
5       opportunity to share information.

6                   So next slide, please.

7                   So the Label Improvement Project was  
8       initiated by AAPCO in 2019. It was brought to the  
9       full board as a project from our president at the  
10      time, Rose Khatchadorian (phonetic), who kind of  
11      envisioned this holistic look at pesticide labels  
12      and brought this project to the board's attention.  
13      The link on the slide actually can take you to kind  
14      of the original presentation by Rose and kind of  
15      what she offered to the board. But basically the  
16      goal of this project was to develop an ideal label  
17      based on standardization, consistency, accuracy,  
18      understandability, and the ability to achieve  
19      compliance and to enforce the label.

20                  And there have been many initiatives over  
21      the years and there have been many successes when it  
22      comes to label improvement. And the goal of this  
23      was to try to take all of those things that we've  
24      learned, pull them together, and then expand from  
25      there, looking at a label holistically. The idea

1 wasn't to try to talk about what's bad about a  
2 label, but rather to give an ideal or a good label  
3 as guidance to registrants, to the EPA, you know,  
4 and to states, you know, to bring everybody's ideas  
5 together.

6 Next slide. please.

7 So the way that this Label Improvement  
8 Project was envisioned and has proceeded is that we  
9 were going to proceed in phases, so in Phase One of  
10 this project, there was the development of a project  
11 plan by core -- by what we called a core project  
12 management team or a core team. In this particular  
13 phase, which I'll talk a little bit more in detail,  
14 it brought together state lead agencies or pesticide  
15 regulatory officials from states, as well as EPA,  
16 because, again, we are an association of regulatory  
17 officials so we wanted to start with kind of what we  
18 thought this project should look like, what it  
19 should encompass. And so Phase One was the  
20 development of this project plan.

21 Phase Two was actually taking this plan  
22 and having it executed by what we called  
23 implementation teams at the time, and these  
24 implementation teams would be comprised of not only  
25 pesticide regulatory officials both from the state

1 and federal governments, but also registrants and  
2 other stakeholder groups. So it could be pest  
3 management professionals, pesticide safety  
4 educators, it could be a whole variety of people  
5 depending upon what part of this project plan they  
6 were implementing.

7 Part of this Phase Two was also formal  
8 project management training for these implementation  
9 teams to help understand the scope of the project,  
10 how to get to that, how to put deliverables together  
11 and just to help with all that. So we felt like  
12 professional project management training was also  
13 important because we know how big of a project this  
14 is. You know, it's huge.

15 Next slide, please.

16 So again, the label improvement core team  
17 was comprised of pesticide regulatory officials  
18 actually from six states, and that includes both  
19 Megan and I, and then staff from EPA's Office of  
20 Pesticide Programs and Enforcement and Compliance  
21 Assurance Programs.

22 What this group did was created a  
23 framework for the plan based on what we called areas  
24 for label improvement. So working together, we  
25 looked at labels and said, okay, what are those main



1 areas where we think that there is room for  
2 improvement and that we think we can affect change.  
3 So we talked about and identified formatting,  
4 enforceability, directions for use and language, and  
5 then claims. And then we also talked about the  
6 future of labels and about how, looking forward, how  
7 can we make labels more flexible, more adaptable.  
8 And so that was also part of the plan, not  
9 necessarily an area for label improvement, but  
10 rather something to consider for labels moving  
11 forward.

12 Next slide, please.

13 So in the plan development phase, the core  
14 team systematically reviewed areas of label  
15 improvement, those areas that we identified, and  
16 paid attention to very specific pieces of  
17 information. So first of all, the core team  
18 identified those implementation teams and who needs  
19 to be part of those teams to ensure their successful  
20 execution.

21 So again, it would be for a specific area.  
22 If you were going to talk about enforceability,  
23 obviously, we would want to ensure that we had  
24 pesticide regulatory officials from across the  
25 country. That would include not only states, but

1 tribes and territories. We would also want to have  
2 EPA representatives, specifically their Office of  
3 Enforcement and Compliance Assurance. We would want  
4 pest management professionals, registrants. So for  
5 each of those areas, you would have representatives.

6  
7 And you will find, should we go into the -  
8 - you know, once we get into the plan or as we move  
9 forward, if you were to see those you would see that  
10 for many of them, they're the same stakeholder  
11 groups that are represented. Obviously, we are all,  
12 you know, here talking about pesticides and we know  
13 that pesticide applications and appropriate  
14 applications start and stop with the label. And so  
15 we would have a broad range of stakeholders.

16 The other thing that we looked at for each  
17 of these areas is what's the scope of the area. Are  
18 we talking about only the master label, the  
19 marketplace label? Are we talking about  
20 supplemental labels? We also had to decide what  
21 types of products are we talking about. We know  
22 that there are conventional pesticides, there are 25  
23 bee products. So for each of those, we had to  
24 determine what is the scope of the products as well.  
25 For each of those, we also looked at common

1 concerns. So what are the concerns with that area.  
2 You know, what are those big ticket items that we  
3 think are really important to focus on first or that  
4 we can really affect some kind of change and make an  
5 improvement.

6 We also talked about needed resources and  
7 as well as existing resources. So as I had  
8 mentioned, there have been a number of label  
9 initiatives and there have been great successes in  
10 some of those. So we wanted to pull from those.

11 Claire had just talked about OPPEL, and as  
12 part of our, for example, discussions, we talked  
13 about OPPEL and how that could feed into this or how  
14 we needed to consider that. And that's just one  
15 example of other initiatives that we certainly want  
16 to learn from and take from. We also know that  
17 there are a number of resources that impact  
18 pesticide labels in their development. There's the  
19 Label Review Manual and guidance documents, et  
20 cetera. So we identified all of those resources.

21 We also talked about the timeline as part  
22 of this plan development project and how long we  
23 thought it would take for implementation teams to  
24 complete, you know, their actual work. We  
25 identified deliverables that would be short-term

1 deliverables, so things that we could effect  
2 immediately or in the short term, maybe, you know,  
3 six months or so, and then other deliverables that  
4 are longer-term projects that may take longer. And  
5 then we also identified possible barriers to success  
6 with the idea that we can look at these barriers and  
7 perhaps find ways to address those, again, towards  
8 the overall success of the project.

9 Next slide, please.

10 So for the current status of where we are,  
11 so we do have a final draft plan. That final draft  
12 plan includes a summary of the reasons for and the  
13 potential benefits of the project. It talks a  
14 little bit about how the project can aid EPA in its  
15 efforts to improve and modernize labels, as I  
16 mentioned before. I'm using OPPEL as an example.

17 It talks a little bit about the team's  
18 discussions on those identified label improvement  
19 areas and it also includes some information about  
20 the proposed workplan for that work that's  
21 identified, but has not yet been completed. That is  
22 where we are right now.

23 Once we have an opportunity to finalize  
24 that plan, we intend to take that to the AAPCO board  
25 for their review and approval prior to moving

1 forward with its implementation.

2 Next slide.

3 Now, I said that I just gave you the  
4 current status of that and I have to let you know  
5 that we did have to put a pin in our project. I  
6 think everybody is well aware and has experienced  
7 the challenges from the ongoing public health  
8 crisis. And while we started this -- if you notice  
9 the date was 2019, it was actually pre-COVID-19.  
10 And while we did work throughout the last couple  
11 years on this, it has been even more challenging  
12 than usual. Obviously, all of us have been impacted  
13 both personally and professionally by COVID-19 and  
14 certainly that's true for the core team members.  
15 And so we did have to spread out the work a little  
16 bit farther. We weren't able to have the same level  
17 of communication and not meet the same way as we did  
18 before. There were so many competing priorities.

19 However, one of the things that has come  
20 out of it is that -- and really we're kind of  
21 waiting for the next step -- is the core team did  
22 identify that project management training that I had  
23 mentioned previously, as being critical to be able  
24 to ensure our plan is well thought-out and that we  
25 have this coordinated approach to label improvement.

1 The core team has chosen to postpone that project  
2 management training until in-person meetings are  
3 possible. We know that those are starting to, you  
4 know, happen again. However, we continue to, you  
5 know, watch the current public health situation.

6 AAPCO does support the project management  
7 training and is willing to host that or, you know,  
8 pay for that, and for the core team members, as well  
9 as the implementation teams to go through that.

10 Now, in addition to putting the pin in it, as we had  
11 to for the public health crisis, now, given these  
12 current efforts of PPDC, we also realized that there  
13 may be an opportunity to leverage the activities,  
14 both of EPA, of PPDC maybe into one initiative.

15 Many of the things that Claire has talked about and  
16 the goals of OPPEL are also our goals as well and  
17 we've also, of course, kept up with all the  
18 discussion about label improvement through PPDC and,  
19 you know, the workgroup.

20 So we also, right now, also want to kind  
21 of wait to see where this might go, the efforts of  
22 PPDC and how we may fit into that. It might be  
23 possible that, you know, we need to change our  
24 direction or reevaluate the way we started because  
25 we certainly want to support this effort and we

1 completely agree that it's going to take all of us,  
2 from all of our perspectives and with all of our  
3 expertise to be able to make that happen.

4 Next slide, please.

5 And then just finally for the project  
6 contacts, I do serve as the project chair and my  
7 email address is here, and then Megan Patterson, who  
8 obviously represents PPDC, she is actually the  
9 project manager currently for this. And so both of  
10 us are available to, you know, work with PPDC and  
11 figure out where this Label Improvement Project can  
12 fit or how we may let it evolve, you know, to assist  
13 these other efforts.

14 Thank you.

15 ZOOM SUPPORT: Excuse me. More feedback  
16 from the interpreters. We've had clocking at 297  
17 words per minute. If we could please speak like we  
18 have molasses in our throats, it would be wonderful  
19 Thank you.

20 ED MESSINA: Thank you, Liza, and you're  
21 welcome for us giving you that clock record there.

22 LIZA FLEESON TROSSBACH: I'm sorry, I  
23 couldn't hear you.

24 ED MESSINA: I said you're welcome that we  
25 were able to clock your --

1 LIZA FLEESON TROSSBACH: Oh.

2 ED MESSINA: In case you were ever  
3 wondering --

4 LIZA FLEESON TROSSBACH: I apologize. I  
5 get so excited.

6 ED MESSINA: In case -- maybe you were  
7 ever wondering what your clock speed was.

8 All right. Thanks so much for that  
9 presentation. Now, we're going to have Syngenta go  
10 next. And we will -- we're eating a little bit into  
11 the time for the endangered species, but we will  
12 quickly pivot to that coming up soon.

13 So thank you, first, for Nina.

14 NINA HEARD: Thank you.

15 Good afternoon, everyone. My name is Nina  
16 Heard. My colleague, Eduardo Moreira, and I would  
17 like to thank the PPDC for providing this  
18 opportunity to share information concerning  
19 Syngenta's ongoing efforts to digitize crop  
20 protection label information.

21 Next slide, please.

22 So before we get into the nitty gritty  
23 details, which Eduardo is going to walk us through,  
24 I wanted to give you a little bit of the back story  
25 on our journey with labels. It started some 10



1 years ago and actually it started because the  
2 marketing group at Syngenta wanted to have a website  
3 where growers could go in and actually put in  
4 queries so they could say I'm in such-and-such a  
5 county in Indiana, I'm growing corn, and I need  
6 something for corn root borer, and they could  
7 actually be given exactly the information for where  
8 they were, for the crop, and for the pest that they  
9 were describing.

10           And this was not possible at the time.

11 The reason it was not possible is because we did not  
12 have a database that contained the information at  
13 the correct level of digitization or granularity, if  
14 you will, to be able to provide that information in  
15 a query. So what we did was we started to look at  
16 what would get us there. And what we discovered  
17 pretty quickly was it was going to be difficult, and  
18 the reason it was going to be difficult is we had  
19 nothing digitized. All of our information was in  
20 documents, either PDFs or Word documents, and  
21 basically we were accustomed to having label  
22 information as part of a document that was then  
23 stored in a document storage system, and that was  
24 it.

25           So what we had was we had all of our label

1 information, particularly the use and usage  
2 information -- the crops, the pests, the rates --  
3 locked into documents with no way of accessing them,  
4 except to go back and manually transcribe them,  
5 which of course is not very efficient. So what we  
6 decided to do was move towards label digitization,  
7 and the first thing we knew we had to have was an  
8 internal standard format.

9           So we began by looking across the  
10 indications of insecticides, fungicides, herbicides,  
11 and looking at the different label formats. And we  
12 realized pretty quickly that we did not have a  
13 standard format, not even for one of those  
14 indications. So the formats varied widely, mainly  
15 because Syngenta has lots of legacy companies, so we  
16 inherited a lot of different formats. The labels  
17 were also written in some cases by 20 or 30 people  
18 as the amendments were made. So not only did we  
19 have a problem with formats, we also had a problem  
20 with having everything in textual form and not in  
21 tables.

22           So consequently, where we started was was  
23 trying to convert the formats for all Syngenta  
24 labels internally in the U.S., and we worked for two  
25 years on this internally and with the EPA to come up

1 with an agreed format. So those were the first  
2 steps,

3 Now, once we had that agreed format, we  
4 could then bring in something called structured  
5 content authoring and structured content authoring  
6 allows you to create content that can be reused, so  
7 it can be tagged. For example, a first aid section  
8 if inhaled is on many, many labels and it reads the  
9 same a lot because EPA recommends the language. So  
10 we could store that one piece of text and reuse it  
11 in every single label construction that we did.

12 So we wanted to go to structured content  
13 authoring so that we could manage the components and  
14 store this information as data. So storing chunks  
15 of components of labels, like paragraphs, in a  
16 system where it could be retrieved and reused. And  
17 the nice thing about having something like that in a  
18 database, along with use and usage information, so  
19 crops, pests and rates, is it allows you to publish  
20 it in any format you want. So the publishing is not  
21 a problem. So when we come to things like font size  
22 restrictions or putting things in a table, it's not  
23 an issue because we can do that.

24 Moreover, what we were really after was  
25 being able to query that information, so being able

1 to have access to it downstream. So a grower or  
2 farmer could have a handheld application and could  
3 actually go in and do queries and, eventually, so  
4 that we could also access this information by  
5 calling it up with a piece of automated application  
6 equipment to automatically download the parameters.  
7 So this was the dream, but it's taken us a long time  
8 to get through all of this work.

9 So in the next couple of minutes, Eduardo  
10 is going to tell you a little bit about some of the  
11 details of our structured content authoring system.

12 So I'll turn it over to you, Eduardo.

13 EDUARDO MOREIRA: Thank you, Nina.

14 Next slide, please.

15 So as Nina mentioned, we developed a  
16 format. We needed a format, so we could have  
17 structured content, reduce text variability. And  
18 that makes the label information machine readable,  
19 but also makes it people readable, so people can  
20 read. So it's not just a spreadsheet; it has a text  
21 so that is -- can be used. So by having that, as  
22 Claire mentioned, data then can flow to different  
23 needs, product safety, what have you, but also  
24 internally enables us to create more efficiently the  
25 commercial label that goes on a container.

1           Next slide, please.

2           So on the transformation of our existing  
3 labels into this format, we took labels that were  
4 written on a scripted way and put into tables to be  
5 easier to read and also have placeholders for data  
6 and parameters that you need to include when you're  
7 doing applications, and it can be used for product  
8 safety and other aspects.

9           Next slide, please.

10          So we used an off-the-shelf XML software,  
11 there are many out in the market, and then we  
12 created templates for indications as Nina mentioned.  
13 So you have insecticides, biologicals, turf and  
14 mosquito control, what have you, and then you have  
15 components, those are text with placeholder for the  
16 information. So the same components can be used  
17 across templates, across labels, and it can be using  
18 multiple master labels or production labels for  
19 commercial production. Also, we can then link that  
20 information to CSF, registration number, and other  
21 attributes that can populate the components and,  
22 therefore, the label.

23          So we have a resistance mode of action, we  
24 have (inaudible) award, what is the formulation or  
25 the CSF code for that. So all this is attributes

1 that you add to your components and you can change  
2 very easily from one label to the next one, but you  
3 need to have a format.

4 Next slide.

5 So this is an example, as Nina mentioned.

6 So if you have first aid, those texts on the left  
7 are altering tools. They are grayed out because you  
8 cannot change. They are really revealed, improved  
9 and there are components. And then how they're  
10 going to be published, you don't have to worry about  
11 this. We'll follow the EPA requirements of  
12 publishing or guidelines that you have internally  
13 and it's -- the text is revealed and then reusable  
14 in multiple labels.

15 Next slide, please.

16 In a similar one, it can do for the  
17 directions for you, the claims. On the left side is  
18 the offering template, which is Microsoft Word, so  
19 as far as the user goes it's a Microsoft Word and  
20 all XML-based language. So you can enter the  
21 information about crops, pests, and data, active  
22 ingredient, AI equivalent for risk assessment, and  
23 this is all displayed. But also not only enter the  
24 data on the left, it's also published on the right  
25 as a text that can be then submitted to PPLS, to the

1 state or to artwork for printing.

2 Next slide, please.

3 Nina?

4 NINA HEARD: Yes, thank you, Eduardo. So  
5 just a little bit about what we're trying to do  
6 here, some of the drivers and some of the outcomes.  
7 Of course, structured content authoring is a major,  
8 major component that we see in the digitization of  
9 labels. And when you talk about digitization of  
10 labels, you can think about two different types of  
11 data. One type would be blocks of text, for  
12 example, those first aid statements that you just  
13 saw. So capturing entire blocks or components as  
14 paragraphs, for example.

15 The other piece, which is really more  
16 difficult, much more difficult, is to capture the  
17 use and usage information. So these are the rates,  
18 the crops, the pests, and all the parameters, all  
19 the restrictions that go with those, REIs, PHIs, all  
20 of the very detailed information that's needed for  
21 the safe use of our products. That is really where  
22 the difficulty comes in because that means you can't  
23 capture this information in lines of text. It has  
24 to be very granular so you have to have a rate that  
25 is a number and a unit of measure. So everything

1 has to be very precisely spelled out in detail to be  
2 able to capture those pieces of information so that  
3 they can be recalled as data from the back end.

4 So really, if you think about this, there  
5 are two main drivers for label digitalization. The  
6 first one is the actual creation, submission,  
7 review, and approval process of the label. So this  
8 is industry, this is state reg, this is federal reg,  
9 EPA and the states being able to review this  
10 information. It is critical that we have the  
11 information in a system so that we can parse it in  
12 whatever format that we need, as we said before.

13 So it doesn't prohibit us from printing  
14 labels, so we still have the printed item because  
15 obviously we're not to the point yet where we can  
16 just put a QR code on a bottle and expect everyone  
17 to be able to understand everything that's on the  
18 label by scanning it. So that paper label is still  
19 important.

20 But this first part speaks to the need to  
21 improve the process which, again -- and I don't need  
22 to repeat what a couple of people before me have  
23 already said, which is my luxury. It actually is a  
24 great improvement on efficiency, to be able to have  
25 this information digitized. You do away with a lot



1 of the paperwork. You do away with a lot of human  
2 error that happens in the creation and in the  
3 submission and review process. So having this  
4 information in a digital fashion really gives you a  
5 lot more flexibility and, therefore, a lot more  
6 speed, which is what our registrants of course were  
7 interested in, but also a lot more accuracy.

8 And compliance, of course, is a big issue  
9 as well. So by eliminating the human component, you  
10 also increase compliance, label compliance. So  
11 that's one piece.

12 The second piece, the second driver is  
13 what I call the back-end driver. So the back-end  
14 driver is means the stakeholders that need to access  
15 this information. We need to access it internally  
16 as registrants. EPA obviously needs to access it as  
17 well. Some of the reasons are the same. We run  
18 risk assessments just like EPA does. We need those  
19 worst case label parameters, too.

20 So it's much easier for us to be able to  
21 call this up in a database than to have our risk  
22 assessors have to go through 60 pages of a label to  
23 find the worst case use rate. So that's one piece.

24 The other piece, of course, is the back  
25 end in terms of the growers. So the growers, yes,

1 they are looking at automated applications. These  
2 are actually going on as proof of concepts. They're  
3 going on within Syngenta. They're also going on  
4 with some of the other industry working groups. So  
5 we actually have a number of programs where we're  
6 using something called a closed-loop process where a  
7 piece of automated equipment out in the field can  
8 upload all the application parameters into the  
9 application equipment automatically and do the  
10 application with also being able to have GPS mapping  
11 to appreciate where the boundaries and where the  
12 water bodies are on their particular field.

13 So in order to be able to do that, we have  
14 to have this information in machine-readable form,  
15 and that means granular. And it's not just  
16 automated application equipment, it's also the farm  
17 management systems, it also goes to ecatalogs and  
18 things like ag gateway projects where we're trying  
19 to come up with consistent standards for ecommerce  
20 catalogues. So it's across the board for these  
21 downstream uses.

22 So our desired outcomes, these are echoing  
23 what you've already heard. So an agreed common  
24 format is critical. So we have to have an agreed  
25 common format. If you remember the Syngenta story,

1 that's where we had to start. We didn't even have  
2 that internally. So we need to have that. We need  
3 to have it across submissions to EPA, because that's  
4 where the rubber hits the road in terms of being  
5 able to structure the content.

6 We need to have establishment of common  
7 data standards, so an understanding across industry  
8 and across stakeholders of what these common data  
9 standards are. If we're going to develop a digital  
10 system, we want to develop it for these stakeholders  
11 that we've talked about, as well as for registrants  
12 and regulatory authorities.

13 We want to be able to capture the label  
14 detail at the correct level of detail, which is  
15 something that I stressed earlier. So this granular  
16 capture is extremely important.

17 The other thing is we want to be sure we  
18 capture all the use and usage information, not just  
19 the worst case. Capturing worst case does not  
20 benefit the grower. They want to know real-time  
21 applications, not the absolute worst case that they  
22 can apply. So we need to capture all of the  
23 different use and usage information that's contained  
24 on the label.

25 And lastly, if we can do this together

1 with all these joint stakeholders, it's going to  
2 save an amazing amount of resources.

3           And if you go to my next slide, in  
4 closing, I just want to give you a sample of some of  
5 the things that are going on right now. And it's  
6 kind of an amazing time because it's like all the  
7 planets are aligning and all of these elabel  
8 initiatives are picking up across the world. So I  
9 think it's also important that we keep our heads up  
10 and look around and see what's going on in some of  
11 these different areas, so that we can leverage some  
12 of the other work that's happening. Because,  
13 eventually, of course, we hope someday -- we'll  
14 probably be gone by then -- that all of this can  
15 become global. And if we don't start moving that in  
16 that direction at some point then we'll never get  
17 there. So as much as possible, paying attention to  
18 what's going on in different areas, when we talk  
19 about combining these labels standards.

20           There are lots of examples here around the  
21 pond including U.S. EPA's OPPEL project. We've been  
22 in discussions with APVMA. We've talked to OECD.  
23 We've also been working on a CropLife Europe project  
24 and recently we've been talking to the CropLife  
25 America. So there's all kinds of things going on in

1 this space. It's a prime opportunity to join forces  
2 together and just try to come together as much as  
3 possible in a transparent way to understand what  
4 other folks are doing.

5 So I want to thank you for your time.

6 DANNY GIDDINGS: Thank you, Nina and  
7 Eduardo. We're going to move on to the discussion  
8 period within this session. I do want to note,  
9 though, that we are we are running over time and we  
10 haven't given folks a break in two hours, but I know  
11 that we have some PPDC members who are eager to  
12 comment and to ask questions on this topic.

13 So let's try to get through the discussion  
14 period as quickly as possible, while also speaking  
15 slowly, and then we'll take a five-minute break and  
16 go on to our ESA and BulletinsLive! Two discussion.

17 So I want to call on Amy Asmus first.

18 Amy, go ahead.

19 AMY ASMUS: Thank you. First of all, I  
20 would like to applaud all the groups that have  
21 presented up to this point. Mostly, it's been EPA,  
22 registrants, and the states that have to enforce  
23 this. I feel the desire -- I feel the need to say  
24 every frustration that you have talked about and  
25 that you are running into as you look at digitizing

1 this label is real world for those of us that have  
2 to advise growers and the growers that use these  
3 products.

4 I implore that you do not wait for perfect  
5 and leave good enough behind because good enough is  
6 better than me trying to interpret a label to one of  
7 our clients that are standing on the back of their  
8 spray rig with a very important question. So I need  
9 to ask that EPA consider this as a high priority.  
10 And I would say that Ed touched on that in his early  
11 presentation when he shared the two priorities of  
12 environmental justice and climate change.

13 Environmental justice applied to OPP through their  
14 farmworkers and their concern of the safety of those  
15 farmworkers when they use pesticides.

16 A pesticide label is the law. They are  
17 legally accountable for those applications and they  
18 don't understand it. The people that are  
19 professionals that have presented on this topic  
20 don't understand it. How do you expect somebody on  
21 the ground to understand that?

22 So my ask is that you make this a high  
23 priority and you line it up with your environmental  
24 justice priorities through EPA and OPP. Think about  
25 those workers that use the pesticides and their need

1 to understand labels. Please don't wait three to  
2 six years to get perfect. Please help us as soon as  
3 you can because right now my growers have the state  
4 agents, if they choose to call those, but most of  
5 them call their agronomists, their ag retailers, and  
6 they need those questions. And we have the same  
7 concerns about our interpretations as the experts  
8 you have going through this data to digitize it.

9 So please make this a priority, because on  
10 the ground, we're struggling with what you are and  
11 we're legally accountable for those applications.

12 Thank you.

13 DANNY GIDDINGS: Thanks, Amy.

14 We're going to hear from Nathan Donley  
15 first, then Mayra, than Mily, then Jim, then Damon,  
16 then Manojit, and then I do think that we need to  
17 cut the discussion there so that we can move on to  
18 other topics, namely the ESA workplan.

19 So go ahead, Nathan.

20 NATHAN DONLEY: Great. Thanks.

21 And I look forward to welcoming the EPA  
22 the 21st century when it arrives. You know, this is  
23 really important work and, you know, label  
24 improvement is a good topic and I'm glad we're  
25 talking about it.

1           And one thing that didn't get discussed,  
2       which I think is incredibly important is, EPA's  
3       ability to quickly and efficiently make label  
4       changes because change is needed for improvement.  
5       Right now, label changes often happen kind of one at  
6       a time during some decision point like reg review,  
7       registration review. And that's really an  
8       inefficient way to do things.

9           Thankfully, EPA has an informal policy in  
10       place called the Pesticide Label Improvement  
11       Program. It doesn't utilize it very often, but it  
12       has utilized its authority under this program in the  
13       past to make label changes across a broad swath of  
14       pesticides, like fumigants, like rodenticides.

15           Right now, this is an informal policy, but  
16       my organization, the Center for Biological  
17       Diversity, just put in a rulemaking petition to the  
18       EPA yesterday asking it to codify this authority in  
19       the agency's regulations and utilize it in a way to,  
20       for instance, put BulletinsLive! language on all  
21       pesticides, at least, all pesticides that are used  
22       outdoors, make sure that labels are translated into  
23       the Spanish language. EPA can do this quickly in  
24       one fell swoop. This is something the farmworker  
25       community has been screaming about for decades. EPA



1 can do this quickly and efficiently.

2 And I think shoring up the agency's  
3 ability to quickly and efficiently make label  
4 changes, not just one by one, but across a whole  
5 swath of pesticides, is a really important part of  
6 this conversation, and I hope to be a part of that  
7 moving forward. Thanks.

8 DANNY GIDDINGS: Thanks, Nathan. Let's go  
9 to Mayra.

10 MAYRA REITER: Thank you. Modernizing  
11 pesticides labels is really important, and I support  
12 what Nathan just said, especially on the issue of  
13 language because given that two-thirds of  
14 farmworkers have limited English fluency, making  
15 labels available in Spanish and other languages is  
16 really critical.

17 So I'd like to ask the presenters, are any  
18 of you looking at ways to prioritize language  
19 accessibility and how to integrate it into the  
20 processes and systems you are developing to  
21 modernize the labels?

22 DANNY GIDDINGS: Do any of our presenters  
23 from either EPA, Syngenta, or AAPCO want to address  
24 that?

25 CLAIRE PAISLEY-JONES: Yeah, I can say we

1 have definitely been talking with established  
2 Spanish language groups in EPA to try to coordinate  
3 the programs because this would potentially be a  
4 much easier way to implement Spanish labeling. And  
5 having that defined vocabulary may be a good  
6 starting place to be able to translate that  
7 vocabulary and then, you know, at least you would  
8 have all of the things that affect risk assessment  
9 available in another language. So that would  
10 include a human health.

11 MAYRA REITER: So would that be available  
12 electronically as well as the other information be  
13 made available?

14 CLAIRE PAISLEY-JONES: That's the plan.  
15 That's our current thinking. We're still trying to  
16 figure out how to integrate there.

17 EDUARDO MOREIRA: Yeah, but it enables  
18 that. So once you have a standard text, then you  
19 have standard translations and components that can  
20 be reused and then applied to different  
21 deliverables. So, yeah, it is one way to enable  
22 that.

23 MANOJIT BASU: And, Danny, just to quickly  
24 chime in from an industry perspective, we are fully  
25 supportive of the dual language labels, the Spanish

1 label, on the pesticide products.

2 NINA HEARD: I think in the past, because  
3 we worked on this many years ago, and in the past,  
4 the blocker was the agreed Spanish language. That  
5 that was the blocker. But we did manage to get some  
6 critical pieces of the label, first aid, for  
7 example, emergency information translated, but the  
8 blocker before has always been the agreed  
9 translation.

10 CLAIRE PAISLEY-JONES: Yeah, and having  
11 the the ability to, you know, agree on translations  
12 potentially beforehand on that vocabulary might make  
13 this easier. As Eduardo mentioned during the  
14 presentation, having that ability with similarly our  
15 builder taking that information in sectioned chunks  
16 and then you can sort of render it in a multitude of  
17 different ways. So there's a potential for  
18 something there. If you had both sections, you  
19 could say, let me see Spanish, let me see English.

20 DANNY GIDDINGS: Thank you all. Let's  
21 move on to Jim Fredericks.

22 JIM FREDERICKS: Thanks. I just want to  
23 just really make a quick comment. First of all, I  
24 want to commend the agency and the states and the  
25 registrants for all this hard work. This is a

1 really complicated issue and I think it's great to  
2 hear this. You know, I want to echo Amy's comments  
3 regarding really the need for this. I will tell you  
4 from the point of view of pest management  
5 professionals who are working to protect homes and  
6 businesses every single day, our labels are  
7 relatively easy to comprehend compared to some of  
8 the ag labels and we still find it difficult to  
9 navigate these things.

10 So when we think about a 20-page label,  
11 that's a big label for us, and I know there's  
12 100-page labels out there. So there is definitely a  
13 need for this.

14 You know, and I love to hear about the  
15 efficiencies and the technological advances that  
16 will be coming down the pike with regard to machine  
17 readability and that sort of thing, but I just want  
18 to encourage everybody involved in all of these  
19 efforts to make sure we're really thinking about  
20 including readability by people and making it easier  
21 for all users, no matter what their language, to  
22 understand these labels.

23 So just a quick comment. Thank you.

24 EDUARDO MOREIRA: Thank you, Jim. I fully  
25 understand that.

1           CLAIRE PAISLEY-JONES: Yeah, as a person  
2 who's trying to translate that for risk assessments  
3 on a daily basis, yes, they also need to be readable  
4 by humans.

5           DANNY GIDDINGS: Thanks, Jim. Damon.

6           DAMON REABE: Yeah. I'm excited to hear  
7 about all the upcoming technology. You guys have  
8 heard from me on this topic in the past. I would  
9 strongly encourage an action item from this group to  
10 immediately develop standardized paper labels. What  
11 happens beyond that is going to be very useful in  
12 the future, but I can't think of a good reason why  
13 we don't have standardized formatting for existing  
14 labels that are attached to the product packaging.

15           At this time and in the foreseeable  
16 future, the paper label that is attached to the  
17 pesticide package will be the primary document used  
18 in decision-making that's done on site and the delay  
19 in finding information is primarily due to the lack  
20 of standardization of the documents. So at the  
21 earliest possible time, we would love to see labels  
22 standardized.

23           Aerial applicators have the advantage of  
24 having to be either commercial pilots or airline  
25 transport pilots. With that type of training, we

1 don't have any issues interpreting or comprehending  
2 the label language itself. The type of training we  
3 need to do in order to fly the aircraft itself puts  
4 us at an advantage in the space of, you know,  
5 understanding legalese. Thank you.

6 DANNY GIDDINGS: Thanks, Damon.

7 Manojit.

8 MANOJIT BASU: Yeah, quickly, Danny, I'll  
9 yield my time to Cathy, but everything I wanted to  
10 say has been captured. I would say the true  
11 digitalization, the process improvement, Spanish  
12 language label, those are some of the key issues  
13 that we need to really focus and address in the  
14 foreseeable future, sooner rather than later. But  
15 I'll keep it short.

16 Thank you.

17 DANNY GIDDINGS: Thanks, Mano. Cathy.

18 CATHY TORTORICI: I hope you all can hear  
19 me. This is quite impressive. You know, looking --  
20 there's a lot of information in those PowerPoints  
21 and I want my staff and I to study them more  
22 thoroughly, but what I'm hearing is really quite  
23 exciting. My question to the committee -- there's  
24 two quick questions.

25 One is what percentage of growers do you

1 think would actually use an electronic label versus  
2 a paper label? I'm hoping it's higher than not, but  
3 there's always complexities with an electronic  
4 system. So I'm curious about in terms of what you  
5 know in the field the percentage of folks that might  
6 actually prefer an electronic label versus a paper  
7 label.

8           And I also agree with what Damon said,  
9 that having standardized paper labels would help as  
10 well. You know, from the NIMS perspective and  
11 probably also Fish and Wildlife, we do have a  
12 concern about what -- in our biological opinions,  
13 how that's translating into labels and making sure  
14 that what we're saying makes sense and can be  
15 translatable and usable and understandable from the  
16 perspective of what's going into a label or into  
17 BulletinsLive!, and so, you know, we're sensitive to  
18 that. So anything that you all are doing that can  
19 help with that translation would be great.

20           So I'll stop there, and thanks so much for  
21 all this hard work.

22           DANNY GIDDINGS: Thank you, Cathy. And,  
23 unfortunately, we do need to move on to our next  
24 session. We're running about 30 minutes behind.  
25 There is some excellent discussion happening in the

1 chat.

2 If we have time after the public comment  
3 period, we will circle back to this discussion and  
4 allow for more input and feedback because there is  
5 some really good discussion happening in the chat  
6 and I want to be sure that we get to that. But in  
7 the interest of time, I do want to move on to the  
8 next session.

9 It's my pleasure to introduce OCSPP's  
10 Deputy Assistant Administrator for Pesticides Jake  
11 Li, to provide an update on the recently released  
12 Endangered Species Act Workplan.

13 As most of you know, Jake is a nationally  
14 recognized Endangered Species Act policy expert with  
15 a track record of developing innovative policies to  
16 improve both the speed and the scale of endangered  
17 species conservation. Since coming to EPA, he has  
18 worked tirelessly on developing the ESA workplan,  
19 which was released last month.

20 Thank you for being here, Jake, and the  
21 floor is yours.

22 JAKE LI: Great. Thank you, Danny. Just  
23 to check, can you hear me fine?

24 DANNY GIDDINGS: Yep, loud and clear.

25



- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

1           ENDANGERED SPECIES ACT WORKPLAN AND

2                   BULLETINS LIVE! TWO

3           JAKE LI: Okay, great. And I will try to  
4 talk a little slower, but you all just let me know  
5 if I'm going too fast.

6           So first of all, good afternoon, everyone,  
7 and on behalf of OCSPP, I want to thank you all for  
8 taking the time to engage with us through the PPDC.

9           As Ed said earlier, I'm going to update  
10 you on our work under the recent ESA FIFRA Workplan.  
11 And in this update, I'll focus on two topics.

12           First is to provide a very brief high-  
13 level overview of the workplan for those who haven't  
14 seen it yet.

15           Second is I know that many of you have  
16 read the workplan and have participated in briefings  
17 on its contents. So we wanted to offer something  
18 new for all of you. So for those of you, I'm going  
19 to discuss in further detail some of our upcoming  
20 plans on several pilot projects under the workplan.

21           So with that, let me get started.

22           Next slide, please.

23           JAKE LI: I actually -- Danny, just to  
24 make sure. I don't know that I can see the slides,  
25 but as long as everyone can see them, that's okay.

1           SHANNON JEWELL: Sorry, Jake. I'm working  
2 on getting those shared right now.

3           JAKE LI: Okay.

4           SHANNON JEWELL: There you go.

5           JAKE LI: Yep, and then we'll -- that's  
6 the correct ones. Thank you, Shannon.

7           So six weeks ago, we released our workplan  
8 that describes how we will move towards full ESA  
9 compliance for our Pesticide Program. Given our  
10 historic challenges with meeting these ESA  
11 obligations, you know, the reality is that it's  
12 going to take us a number of years before we can  
13 fully meet all of our obligations for every FIFRA  
14 decision. In the meantime, we'll need to prioritize  
15 the types of FIFRA actions that will bring into full  
16 ESA compliance first. So that's the first strategy  
17 in the workplan, and my next slide will actually say  
18 a bit more about this particular strategy and our  
19 priorities.

20           The second strategy is that we need to get  
21 early protections in place for those endangered  
22 species facing the highest risk from pesticides. In  
23 our workplan, we identify three such categories of  
24 species along with a host of policy actions to  
25 support that strategy.

1           The third strategy is to focus on process  
2           efficiencies. In Appendix A of the workplan, it  
3           shows our current ESA FIFRA process, how we're going  
4           to be well into the 2030s before we can complete  
5           biological evaluations for just 57 pesticide  
6           ingredients, which is just a small fraction of all  
7           of our ESA obligations in the next decade. In other  
8           words, the current ESA FIFRA process is a starting  
9           point, but it's definitely not where we need to be  
10          in four to six years from now.

11          And the final strategy is to expand our  
12          stakeholder engagement and find ways for them to  
13          help EPA achieve our ESA compliance goals.

14          So as those of you who haven't read the  
15          workplan, as you read it, if you have questions  
16          about it, feel free to reach out to our office and  
17          we're happy to answer more specific questions.

18          Next slide, please.

19          So as noted earlier, the workplan  
20          prioritizes FIFRA actions into three categories for  
21          ESA compliance. The highest priorities are court-  
22          enforceable deadlines, many of which are already in  
23          Appendix A of the workplan, and the registration of  
24          new conventional pesticide active ingredients. This  
25          is per our January 2022 policy in which we said we

1 will meet our ESA obligations for all new  
2 conventional pesticide AI registrations. And, on  
3 average, we anticipate approximately 10 such  
4 registrations annually.

5 Our second tier of priorities are  
6 registration review of conventional pesticides  
7 without court-enforceable deadlines. We estimate  
8 that there are roughly 40 such actions annually.

9 And our third tier are all other FIFRA  
10 actions for conventional pesticides, such as new  
11 uses, Sections 18s and experimental use permits. We  
12 expect roughly 320 such actions annually. Again,  
13 this is based on past actions that we've received.

14 Also in this third category were all FIFRA  
15 actions for nonconventionals, including new  
16 registrations and registrations review. We expect  
17 about 150 such actions annually.

18 Some of you may be wondering why  
19 nonconventionals are placed in this third category,  
20 and the succinct reason is that in the past, our ESA  
21 methods have really focused on conventional  
22 chemicals. We don't have methods specific to  
23 nonconventionals for ESA analyses at this time. So  
24 we are in the process of developing those methods as  
25 described in further detail in the workplan, and in

1 this time that we're developing those methods, we're  
2 really trying to prioritize the conventionals for  
3 which we do have the existing ESA methods.

4 So in short, that's how we will generally  
5 prioritize FIFRA actions, although we will decide on  
6 a case-by-case basis whether to elevate any  
7 particular action in this priority rank.

8 Next slide, please. And this is actually  
9 my last slide.

10 I want to give you a more granular look at  
11 how EPA will prioritize certain pesticides and  
12 species for early mitigation in the next two to  
13 three years. This level of information isn't  
14 actually in the workplan because it's information  
15 that we're actively developing and refining. But,  
16 today, we did want to preview for you some of our  
17 near-term ESA actions. Again, this isn't everything  
18 that we're going to be doing on ESA in the next few  
19 years, but it does highlight some of our pilot  
20 projects that we're really excited to move forward  
21 on.

22 So when we talk about early ESA  
23 mitigation, one question we oftentimes get is, well,  
24 what exactly does that mean, EPA? For our agency,  
25 our plan is to begin adopting early mitigation

1 through pilot projects and to learn from them,  
2 because the truth is that a lot of this work is new  
3 to us and it's new to the entire federal family,  
4 right? This is the intersection of ESA FIFRA at the  
5 national level doing early mitigation. It's  
6 something that's really never happened before.

7 So let me start with pilot species. The  
8 reason we have pilot species is that we don't have  
9 the bandwidth at EPA at this time to adopt early  
10 mitigation for all ESA species affected by  
11 pesticides. As a result, we're starting with a  
12 subset of species that are particularly vulnerable  
13 to pesticides in order to develop a workable process  
14 to mitigate for impacts to those species earlier in  
15 the FIFRA process.

16 The first category of pilot species are  
17 approximately 15 ESA species that are part of an  
18 interagency pilot led by USDA, NOAA Fisheries, the  
19 U.S. Fish and Wildlife Service and, of course, us at  
20 EPA. And that's what you're going to see in this  
21 first row here. We've already identified those  
22 species and we're currently identifying the initial  
23 set of potential mitigation measures for each of  
24 those species.

25 Now, these measures aren't going to be

1 chemical-specific, but, rather, you can think of  
2 them as a suite of mitigation measures for each of  
3 these things that EPA can apply to different classes  
4 of pesticides that affect the species.

5 As an interagency group, we hope to  
6 publicly announced the species and our plans for  
7 them within the next two months. And from there, we  
8 plan to get stakeholder input on those potential  
9 mitigation measures and then finalize those  
10 measures.

11 Once that's done, we can apply the measures to the  
12 three pesticides in this pilot and expand those  
13 measures to other pesticides that affect those  
14 pieces. So again, much more that's going to be  
15 announced within the next two months on that.

16 The second pilot, and this is the role  
17 below the federal pilot, is for ESA species that EPA  
18 has determined are vulnerable to pesticides based on  
19 ESA documents that the services have provided. This  
20 summer, we plan to publish the initial list of those  
21 species in order to get this pilot started, and then  
22 identify a suite of mitigation measures for those  
23 species.

24 As with the first pilot, these mitigations  
25 aren't necessarily going to be chemical specific,



1 but instead will provide options for us to address  
2 different routes of exposure to those species from  
3 various classes of pesticides. In other words,  
4 we're trying to cast a fairly broad net to be  
5 efficient.

6 We also hope to take lessons from the  
7 federal pilot to inform how we finalize the  
8 mitigation for the EPA vulnerable species. We'll  
9 then begin applying those mitigations where we can  
10 to FIFRA actions that affect those species.

11 So those are our pilot species.

12 Next, I want to discuss pilot chemicals in  
13 our FIFRA registration review process, and that's  
14 where I'm going to start with the third role. For  
15 these chemicals, we're also identifying species that  
16 are likely to face a proposed jeopardy or adverse  
17 modification finding during the formal consultation  
18 with the services and we're trying to adopt some  
19 mitigation for those species as part of our proposed  
20 interim decision or PID.

21 So this group of pilot species isn't  
22 actually identical to those from the federal pilot  
23 and our vulnerable species effort I just talked  
24 about because the main criterion for identifying  
25 this group of species is the specific interactions

1 between the particular pesticide that's the pilot  
2 and the species that creates a risk of jeopardy or  
3 adverse modification.

4 By contrast, for the two groups of pilots  
5 species identified earlier, we're developing general  
6 mitigation measures for those species that we can  
7 apply to a variety of pesticides. So again, we can  
8 have general mitigation measures for these pilots  
9 species and we can have specific pilot species based  
10 on our predictions of whether those species are  
11 likely to receive a jeopardy or adverse modification  
12 for these specific pilot chemicals.

13 Right now, we have about a half-dozen  
14 initial species identified for each of the  
15 pesticides on the slide. Our goal is to get  
16 experience working ESA mitigations into the FIFRA  
17 process using this very manageable list of species  
18 and then to expand that list of species to others  
19 that we know are vulnerable to pesticides.

20 I also want to note that these initial  
21 mitigations would occur before we have a final  
22 biological opinion from the services; in some cases,  
23 many years before we have an opinion. This is one  
24 way that we're trying to get some early mitigations  
25 to reduce or eliminate the risk of jeopardy or

1 adverse modification and come closer to meeting our  
2 ESA obligations as part of registration review,  
3 without waiting many years until the end of the  
4 formal consultation process.

5           So with that said, let me talk through the  
6 main classes of chemicals that we're going to pilot.  
7 First are the carbamates. So that's Methomyl and  
8 Carbaryl. And I'm going to talk about them together  
9 because they're under the same timeframe and the  
10 same processes. We're aiming to get some initial  
11 mitigations for these pilots species as part of our  
12 proposed interim decision, while the consultation  
13 for these two chemicals is happening in parallel.  
14 And then when we get a final biological opinion in  
15 the future, we'll, of course, need to update the  
16 labels to implement the terms of the biological  
17 opinion.

18           Next, I want to talk about the  
19 rodenticides. We're going to be adopting a similar  
20 approach there where we will identify an initial set  
21 of species that are highly vulnerable to these  
22 pesticides and start mitigating for those species as  
23 actually part of the proposed interim decision.

24           So I forgot to mention this earlier, but  
25 if you look at the legend on the lower left-hand

1 side of the slide, you'll see how we've coded  
2 actions that are completed, actions that are  
3 ongoing, and future work. So for rodenticides, we  
4 have identified initial group of pilot species and  
5 we're in the process of identifying some mitigations  
6 for the species in order to inform the PID that's  
7 coming up. Then we'll consider comments as part of  
8 that PID and we hope to expand the mitigations to  
9 additional species and then make our jeopardy and  
10 adverse modification predictions. And those initial  
11 mitigations, we're hoping to actually incorporate  
12 them into a draft biological evaluation so that the  
13 federal action we're going to give to the services  
14 actually includes this early mitigation.

15 So this is one of the novelties that we're  
16 -- the novel aspects of how we're trying to do ESA  
17 consultations. They're actually fairly common  
18 outside of the pesticide context, but we haven't  
19 taken advantage of them in the past for pesticides,  
20 and by doing so, we're really hoping to make the  
21 pesticide consultation process a lot more efficient.  
22 So that's one insight.

23 Next, I want to point you to the three  
24 Neonics in the penultimate row here. For these  
25 Neonics, the process is similar to the other

1 chemicals I've mentioned, except that we do have a  
2 final biological evaluation that's due in June. So  
3 that BE will precede the proposed interim decision,  
4 which is actually a revised PID. And after we make  
5 that -- issue that final BE, we will try to  
6 incorporate our jeopardy adverse modification  
7 predictions into the consultation and then continue  
8 to consultation with the services. So those are the  
9 pilot chemicals in registration review.

10 And then the final thing I want to mention  
11 is, again, in January of this year we issued a  
12 policy around new conventional active ingredients.  
13 And we put that category of actions in this slide on  
14 pilots, because our hope is also to get some  
15 mitigation for those species before we have a final  
16 biological evaluation and certainly before a final  
17 biological opinion, if one is needed. So to some  
18 degree, that's also a pilot because we've never  
19 systematically tried to get early mitigation for  
20 DCSA species as part of a new AI registration.

21 And with that, I know we're actually  
22 running a bit behind schedule, so I will stop there,  
23 and pass it on to our BLT folks.

24 DANNY GIDDINGS: Thanks, Jake.

25 And I'd just asked that we save on any

1 questions for the ESA workplan until after Amy Adams  
2 and Stephen Muela give their presentation on  
3 Bulletins Live! Two.

4 Amy and Stephen, go ahead.

5 STEPHEN MUELA: Okay, great. Thank you.  
6 Yeah, so Stephen Muela. I'm one of the project  
7 leads for the Bulletins Live! Two Project, and I'm  
8 presenting today with the other lead on the project,  
9 Amy Adams, and we're going to be talking about on  
10 Bulletins Live! Two and the steps we took to  
11 modernize it this year.

12 Next slide, please.

13 So I'm going to start with a little  
14 background on the Bulletins Live! Two Program, just  
15 in case some folks aren't familiar with the system.  
16 So the idea is when EPA implements additional  
17 limitations on a pesticide that are spatially  
18 defined, we create a pesticide use limitation area,  
19 or what we call a PULA. This PULA consists of  
20 spatial data, product application, formulation  
21 information, as well as the limitation or mitigation  
22 language.

23 Since 2015, the way in which we display  
24 these PULAs and distribute bulletins is through a  
25 web map called Bulletins Live! Two, or BLT. So the

1 general process is a user would see a reference to  
2 BLT on their product label. They would then go to  
3 BLT, put in their intended application date, search  
4 for their product, and then they zoom to their  
5 intended application site to see if it coincides  
6 with any PULAs.

7           And if it does coincide, a user is  
8 prompted to print out a PDF that contains all this  
9 information, the information I just referenced, the  
10 spatial data and product info. And that PDF is what  
11 we refer to as a bulletin, and the user can keep it  
12 for their records to show they complied with the  
13 label directions to both go to BLT and whatever  
14 additional limitations were described in the  
15 Bulletin.

16           Next slide, please.

17           So this is just an example of a bulletin  
18 that printed out in PDF, I just mentioned. It shows  
19 the location of the user's intended application site  
20 here on the map. It shows the product they're  
21 searching for, as well as the date they are going to  
22 apply it. It also includes the tables that have  
23 product info, like the name of the product, the  
24 active ingredient, the registered use and  
25 application method, as well as a description of the

1 limitation.

2 Next slide, please.

3 So there are some cases in which a product  
4 label might reference BLT, but there's no PULA for  
5 that product currently up in BLT, or there might be  
6 cases where there is a PULA associated with a  
7 product, but it doesn't coincide with the user's  
8 intended application area. In either one of those  
9 cases, users will be prompted to print out a no PULA  
10 bulletin, which you see here, that just states,  
11 "Currently, no pesticide use limitation areas exist  
12 within printed map view for the month/year and  
13 product you selected, beyond the instructions  
14 specified on the pesticide label."

15 Users can still keep this for their  
16 records just to show that they complied with the  
17 label direction to search BLT, but that no further  
18 limitations were present.

19 And after that brief bit of background,  
20 I'm going to pass it over to Amy who's actually  
21 going to walk us through the changes we made this  
22 year to update BLT.

23 AMY ADAMS: All right. Thank you very  
24 much, Stephen.

25 Here is the overview of the changes that



1 have been made to the Bulletins Live! Two system.  
2 They went into effect in February of 2022. And we  
3 really want to highlight what the user will see  
4 changed about the experience of using Bulletins  
5 Live! Two.

6 First of all, the web framework for  
7 Bulletins Live! Two has been updated. This just  
8 means that the system is more compatible with modern  
9 technology. You'll see it working in a wider  
10 variety of web browsers than in the past.

11 The second thing that has been improved is  
12 the system capacity. That has been increased. We  
13 are seeing rising demand for the Bulletins Live! Two  
14 system. In the past, we would be asked to enter  
15 around one or two new pesticide use limitation areas  
16 per year. Now, on an annual basis, we're being  
17 asked to enter more like 30 to 40. So we had to  
18 make sure we had the capacity to handle that rising  
19 demand. But the main thing that the user sees  
20 changed about the experience is to the search  
21 process. So that brings us to number three in this  
22 slide.

23 The search process is more dynamic than it  
24 used to be, and this is largely thanks to a new  
25 connection that Bulletins Live! Two now has with the

1 EPA's pesticide product label system. We used to  
2 get complaints about the old system, having load  
3 times that would take a while. Now, the main  
4 benefit of having the connection is that it loads  
5 quickly.

6 But the biggest change to the search  
7 process has been to how to search for products.  
8 There were some options in the previous systems that  
9 could be confusing and could lead to errors, which  
10 I'll talk you through how we fixed that in our next  
11 slide.

12 All right. So in the past, you could  
13 search Bulletins Live! Two using the name of a  
14 product or its active ingredients. The problem with  
15 doing this is there are a lot of similar-sounding  
16 product names out there and it's easy to input typos  
17 when searching for active ingredients. So to avoid  
18 possible confusion that could arise from the search  
19 options, what users in BLT now have to do is search  
20 using the EPA registration number of a pesticide.  
21 This is a unique identifier that can be found on the  
22 label of a pesticide and it prevents that product  
23 from being confused with any other product out  
24 there.

25 So if you think of the Social Security

1 number system for United States citizens that  
2 prevent citizens with one name getting confused with  
3 citizens of that same name -- there are lots of Amy  
4 Adamases out there, for example -- it works similarly  
5 to that. So we don't have any possible mixups. And  
6 we have developed new web language to help users  
7 find the EPA registration number and understand what  
8 it is, including written instructions and  
9 illustrations like the illustration you see in this  
10 slide. And it also goes through just how to search  
11 the interface using this information.

12 And in our next slide, we have all of  
13 those links available. So if we could go to that.

14 All right. I'm going to go ahead and drop  
15 this in the chat as well, so that you have it  
16 available. It's working on loading for me. Sorry.  
17 But we have a written tutorial that goes through how  
18 the bulletin -- how to use the Bulletins Live! Two  
19 mapping interface, as well as a shorter set of  
20 instructions. That's the Quick Start guide and how  
21 to locate the EPA registration number and what it is  
22 is that bottom link.

23 And we also have a video tutorial, a  
24 webinar called Understand Bulletins Live! Two. We  
25 are in the process of updating that from the 2019

1 video that's posted currently. It's going to say  
2 2022 once we do have that updated.

3 So if we could go to the next slide,  
4 please.

5 We just want to highlight this is what the  
6 old system used to look like before the mapping  
7 interface was updated to look nicer and the search  
8 options were changed.

9 So let's go to our next slide to see what  
10 it looks like currently.

11 This is our updated current interface.

12 And all of these pink polygons that you see on the  
13 map, those are pesticide use limitation areas, or  
14 PULAs. Over on the left-hand side of the screen, we  
15 have a blue box. That is what you would use to  
16 search this system. You would enter in the top box  
17 the location. And some common questions we get  
18 asked about this is, what format do I have to enter  
19 the location of my application site, do I have to  
20 enter coordinates or an address how, what is the  
21 scale.

22 Well, we have pesticide application sites  
23 that are going to be smaller scale and pesticide  
24 application sites that are going to be bigger. So  
25 the location search can be entered in a variety of

1 formats. It works if you enter coordinates; it  
2 works if you enter zip codes. If you enter specific  
3 addresses, if you enter a state name, or a city name  
4 or a preserve name, or a county name, it will zoom  
5 to that scale. So just enter whatever location you  
6 need to in order to view the full extent of your  
7 pesticide application area.

8           And then, of course, you'd enter your  
9 application month in the second drop-down. And in  
10 the third drop-down, that is where the EPA  
11 registration number would be entered. You would hit  
12 search, and if you see a pink polygon, you would  
13 click on it. It would pull up a PDF bulletin, like  
14 what Stephen showed earlier, that says if there are  
15 any limitations for a given month. And if there are  
16 not, then, of course, Stephen already showed earlier  
17 what that would look like.

18           So let's go to our next slide.

19           That is all we were planning to cover. If  
20 you have any questions about the Bulletins Live! Two  
21 system, please email the Endangered Species  
22 Protection Program inbox, [espp@epa.gov](mailto:espp@epa.gov), or you can  
23 email either Stephen or myself. And we are happy to  
24 take questions during the Q&A period.

25           DANNY GIDDINGS: Thank you, Amy. Thank

1       you, Stephen.

2               Let's now open it up for discussion to the  
3       PPDC. I am going to limit it to 10 minutes of  
4       discussion, and so we'll still have a little bit of  
5       time left for public comment afterwards. So please  
6       raise your hand to be recognized.

7               And I see John Wise has raised his hand.

8               JOHN WISE: All right. I have a question.  
9       By the way, thank you for the presenters and all the  
10       hard work. Excellent.

11              My question is, how will the EPA  
12       distinguish endangered species risks associated with  
13       pesticides depending on the various application  
14       methods allowed on the label? For example, a ground  
15       sprayer may result in a different risk to an  
16       endangered species in an adjacent habitat than a  
17       different application method, such as seed  
18       treatment, chemigation, trunk injection. So how  
19       does the application method inform the risks and  
20       then all the associated mitigations that you folks  
21       are working on?

22              Thank you.

23              JAKE LI: Great question, John. Let me  
24       provide an initial answer, and if there's anyone  
25       from EFED who wants to chime in, you are more than

1 welcome to. So I don't think anything about how we  
2 consider the method of exposure changes under the  
3 summary that I provided, right -- so we would still  
4 consider the actual route of exposure and then the  
5 corresponding effects to species, depending on the  
6 method of application, whether it's aerial or  
7 whatever else. I think that's been a staple of how  
8 we've done ESA assessments in the past.

9           So if the question is, you know, do we  
10 have anything specific that's different under what  
11 we're doing in this workplan, I don't think the  
12 answer is a yes here. With that said, I think we're  
13 always assessing our scientific methods. So that's  
14 sort of my short answer. And, again, if there is  
15 anyone in EFED or OPP who wants to add to that,  
16 you're welcome to.

17           DANNY GIDDINGS: All right. Thank you,  
18 Jake. Thank you, John.

19           I'm now going to recognize Nathan Donley.

20           NATHAN DONLEY: Great, thanks, and thanks  
21 for these presentations. They're great.

22           Jake, I'd just really like to recognize  
23 your leadership here because this process has been  
24 languishing for the last decade. I think the  
25 National Academies report was published in 2013, and

1 not a lot of movement has been made here until now.  
2 And I credit you a lot with that and also the EPA  
3 scientists who are putting together these really  
4 dense scientific documents, these biological  
5 evaluations. So much good work has gone into that.  
6 So thank you all for that.

7           And, you know, we're encouraged by the  
8 workplan and really would love to see this move very  
9 quickly from process to on-the-ground conservation  
10 measures. And it looks like we're going to be  
11 seeing a lot of that very soon, and we're already  
12 starting to see a lot of that with some of the label  
13 changes that have been made for some of these pilot  
14 chemicals. They've been really great to see.

15           And, you know, I'll just say I think the  
16 next decade or so of how this process plays out, a  
17 lot is going to be dictated by the pesticide  
18 registrants. And what I mean by that is, you know,  
19 if you're a registrant and you're serious about  
20 conservation of species and, you know, finding  
21 efficiencies in this process and making it better,  
22 clean up your labels and make some of these tangible  
23 changes that can have such a major impact on these  
24 species, but also get you through this process  
25 quicker and get you the regulatory certainty that



1 you're looking for.

2 Just one example, Syngenta recently  
3 removed Hawaii from their Atrazine labels, and this  
4 was incredibly smart because a full third of  
5 endangered species in the U.S. reside in just one  
6 state, Hawaii. Removing that state can increase the  
7 efficiency of this process by one-third. It can  
8 save a third of agency resources going through this  
9 process.

10 So, you know, I know not everyone's going  
11 to want to take Hawaii off their labels and that's  
12 fine, but be creative about things you can do to  
13 make some label changes that can shepherd you  
14 through this process much quicker. And I think EPA  
15 really has a good grasp of what those changes can  
16 look like and how they can save you time and effort,  
17 and themselves time and effort, moving forward in  
18 this process.

19 So there's my plea for what it's worth,  
20 and thanks again.

21 JAKE LI: Thank you for the commentary and  
22 observations, Nathan. All of this workplan and  
23 other work, it really has a joint effort amongst all  
24 of us at OPP, and everyone is bought into it and  
25 we're all really excited to actually, you know, make

1 progress.

2           The last slide I showed, you know, there's  
3 a lot going there, right, as you can see, and it's  
4 probably a lot more than we've ever done on this.  
5 And there's even more beyond this slide. So we are  
6 really trying to step up our game.

7           NATHAN DONLEY: Thank you.

8           DANNY GIDDINGS: Thanks, Nathan.

9           Now, I'd like to recognize now Bob Mann.

10          BOB MANN: Thank you, Danny. And let me  
11 begin by thanking all of you for your wonderful  
12 presentations today.

13          My question/comment brushes up against  
14 what Nathan was bringing up just now. There's a lot  
15 of nexus between what we've been talking about late  
16 this afternoon -- in fact, I almost wish that on the  
17 agenda that the endangered species item was before  
18 label reform.

19          Now, Jake, my question is to you. In  
20 previous presentations that you've made, you've  
21 alluded to using label reform in order to accomplish  
22 your items in the Endangered Species Act. I'd like  
23 to have you elaborate upon that a little bit.

24          We've heard today -- you know, Ed went  
25 over the Enlist labels with the spatial restrictions

1 on usage. We've heard about the pesticide label  
2 reform, including the use index. And I think that  
3 these things all seem to be swirling around each  
4 other. Could you just elaborate upon what your  
5 vision is for how these would come together so that  
6 we can accomplish these goals in an efficient way?

7 JAKE LI: Yeah. Bob, thanks for  
8 connecting those dots. It's very perceptive of you  
9 to do so because we are very much internally trying  
10 to connect those dots. I purposely didn't try to do  
11 so in my presentation because our discussions  
12 internally are at the very nascent stage, and there  
13 are a number of ways that we believe label reform,  
14 relabeling, can really help with us moving toward ESA  
15 compliance, in particular, registration review. As  
16 we've heard today, the process for updating or  
17 amending the labels can be, you know, really  
18 cumbersome, time-consuming. And if we have to do it  
19 once as part of an interim decision, and then we  
20 have to do it again, five years later, because we  
21 have a biological opinion, that's basically two  
22 label updates. And there really has to be a faster  
23 way and more efficient way for us to make those  
24 updates.

25 So that's one nexus that's, I think, very

1 low-hanging fruit in terms of things that can really  
2 help us with the ESA process. But we can't really  
3 do that at any scale until we have an elabeling  
4 system up and running first.

5           And I really like some of the ideas that  
6 were offered earlier today about maybe some initial  
7 things that we can do in the meantime that can help  
8 us with maybe a few pilots and help us with  
9 multilingual labeling as well. So I actually think  
10 all of those are connected.

11           The other thing I'll just quickly say is  
12 that we are also thinking through what type of  
13 guidance can we give to registrants so that as  
14 registrants think about how to write their labels,  
15 they can already start thinking beforehand about at  
16 least generic mitigation measures that can help with  
17 exposure to ESA species and incorporate those into  
18 the label much earlier in the label drafting  
19 process. Right now, as you've seen, even in the  
20 PID, that's new for us, because we've never really  
21 done ESA in the PID.

22           So right now, we're already moving it  
23 quite a bit, you know, advance -- or earlier in the  
24 process. How can we move it even earlier, where a  
25 draft label we get already is like, well, I'm just

1 going to make this up 50 percent of the way there.  
2 We are hoping, through these pilots species, to  
3 demonstrate what that might look like, because, as I  
4 said earlier, we are going to identify what we  
5 believe to be appropriate mitigation measures for  
6 different methods of application for those pilots  
7 species and then try to expand them to other  
8 species.

9 So we could probably talk for several  
10 hours on this really excellent question, but in  
11 interest of time, I just wanted to throw out these  
12 two to three different ideas that we're all thinking  
13 through internally.

14 BOB MANN: Thank you.

15 DANNY GIDDINGS: Thank you. And that  
16 concludes the last session before we go into public  
17 comment today.

18 I want to thank all of the presenters, as  
19 well as our PPDC members.

20 Now, turning to the public comment period.  
21 Please raise your hand if you are interested in  
22 providing public comment and have preregistered to  
23 do so, and we will promote you to panelists in the  
24 back end, our tech support team will, and then I'll  
25 call on you. And you'll be limited to three

1 minutes, and please do try to keep your remarks  
2 within that time.

3 I want to go over how you can participate  
4 via telephone, as well as on the Zoom. So  
5 participating today via telephone, please press \*9  
6 to indicate that you want to be recognized. I'll  
7 call on you by area code, and then you can unmute  
8 when I call on you by pressing \*6.

9 Whether you are participating on Zoom or  
10 on the telephone, when you're making your comment,  
11 please state your name and affiliation if you have  
12 one, and, like I said, we ask that you please limit  
13 your remarks to three minutes. And we'll be  
14 displaying a slide with your remaining time.

15 For feedback purposes, please ensure that  
16 you are not connected to the phone and computer in  
17 audio at the same time.

18 And we're going to start with those who  
19 have preregistered. There have been folks in the  
20 Q&A box, and probably even via email, who have  
21 indicated interest in providing public comments, but  
22 may not have preregistered. We'll get to as many of  
23 those as possible after we go through the  
24 preregistered folks. And, again, you can -- if you  
25 are interested in providing comments but have not

1 preregistered, you can email Shannon Jewell at J-E-  
2 W-E-L-L.Shannon, S-H-A-N-N-O-N, @epa.gov, or leave  
3 us a note in the Q&A.

4 With that, let's get started. Our first  
5 commenter is going to be 20034655. This must be  
6 someone on the phone. That's 20034655.

7 SHANNON JEWELL: Danny, quickly. Can you  
8 see the public comments slides? I'm not sure if  
9 those are coming across.

10 DANNY GIDDINGS: Yes, I can.

11 SHANNON JEWELL: Okay, great.

12 Okay. So that person should be able to  
13 unmute.

14 DANNY GIDDINGS: Are you on, 20034655?

15 All right. Well, as we have not heard  
16 from that person, let's move on to Ray McAllister.

17 RAY MCALLISTER: Are we ready?

18 DANNY GIDDINGS: Go ahead, Ray.

19 RAY MCALLISTER: Thank you. Ray  
20 McAllister with CropLife America. I had a few brief  
21 questions regarding OPPEL that we heard about  
22 earlier in the afternoon. I was wondering about the  
23 status of the IT contract and if it is still  
24 affecting the progress of the OPPEL.

25 The second question is, could we conduct a

1 larger pilot project with more registrants to gain  
2 experience with OPPEL and to refine it?

3 Thank you.

4 DANNY GIDDINGS: Thank you, Ray. I'm not  
5 sure that we'll be able to address your questions in  
6 today's webinar, though they will be entered into  
7 the public record, unless Ed or others want to chime  
8 in.

9 ED MESSINA: You know, there's a wrap-up  
10 session tomorrow, so maybe -- I'll take some notes  
11 and see if there's anything -- because we do want to  
12 save time for people to comment today, and I'll try  
13 to address that in tomorrow's wrap-up. There's no  
14 wrap-up today. We're going to end with public  
15 comment, but tomorrow there's some time for wrap-up  
16 and I'll take some notes.

17 RAY MCALLISTER: Thank you.

18 DANNY GIDDINGS: Thanks, Ray. Thanks, Ed.

19 I believe we have the previous caller on  
20 the line now. 20034655, are you able to --

21 AILEEN MALDONADO: Hello?

22 DANNY GIDDINGS: Hi.

23 AILEEN MALDONADO: Oh, hi. So my name is  
24 Aileen Maldonado, and I work in industry at UPL as  
25 an ecotoxicologist. And I guess -- this is kind of



1 a complex question for ESA, but how, I guess, are  
2 you guys attempting to assess if a species is being  
3 impacted by a pesticide with how complex ecosystems  
4 are? And even, you know, years of studying  
5 sometimes a species, it's hard to understand what's  
6 really causing an impact, and so how are you guys  
7 going to be able to tackle that?

8 DANNY GIDDINGS: Thank you for that  
9 comment. Like I said, I'm not sure that we can  
10 address every question here today, but it has been  
11 entered into the public record after you giving it.  
12 And that may be something that we can address in the  
13 wrap-up session or through another venue unless Jake  
14 or anyone else wants to chime in.

15 SHANNON JEWELL: Actually, this is  
16 Shannon. I'll chime in quickly. I'm so sorry. So  
17 public comments are really only designed for the  
18 public to make comments, and it's not a question and  
19 answer session. It's really for people to get their  
20 comments and feedback on the public record. That's  
21 a FOIA rule. So I apologize for that. But please  
22 feel free to email us. You're welcome to do that --  
23 jewell.shannon@epa.gov -- and we can work on getting  
24 an answer to that question for you.

25 Thank you.

1           AILEEN MALDONADO: I'm so sorry. I didn't  
2 -- I wasn't aware of that. But thank you.

3           SHANNON JEWELL: Absolutely, no problem.  
4 So sorry.

5           DANNY GIDDINGS: Are there any other  
6 members of the public who would like to make  
7 comments? I'm looking for raised hands.

8           Hardy Kern from American Bird Conservancy.

9           HARDY KERN: Can you hear me?

10          DANNY GIDDINGS: I can.

11          HARDY KERN: Fantastic. So I just firstly  
12 want to say thank you so much to Mr. Messina, to  
13 yourself, Mr. Giddings, and Ms. Jewell and everyone  
14 who is here, the PPDC, for all the important work  
15 that's being discussed.

16          My name is Hardy Kern. I'm the Director  
17 of Government Relations for American Bird  
18 Conservancy's Pesticides and Birds Campaign, which  
19 is a mouthful and it takes up, you know, 80 percent  
20 of my business card.

21          We would first like to express our  
22 admiration for EPA's renewed commitment to ESA  
23 consultations, and we would also love to see, as I'm  
24 sure would EPA, their budget and number of full-time  
25 equivalents for ESA work doubled, which is something

1 that we are actively advocating for during the  
2 Congressional appropriations process. We really  
3 want to support that work. With important BiOPs on  
4 neonics and other chemicals impending, it is more  
5 important now than ever to increase EPA's capacity  
6 to properly assess and mitigate chemicals in order  
7 to protect vulnerable wildlife and habitat.

8 And ABC is also grateful for EPA taking  
9 time to review -- and I am sorry, I've been talking  
10 very quickly for the interpreters. ABC is also  
11 grateful for EPA taking time to review and improve  
12 pesticide labeling. One of the greatest threats to  
13 farmworkers is the improper application of  
14 pesticides. Spills and overuse also contribute to  
15 lethal and sublethal effects on wildlife and  
16 ecosystems.

17 Making labels comprehensive, easy to  
18 understand, and multilingual are all ways to protect  
19 farmworkers and wildlife. Thank you for the  
20 opportunity to comment today, and thank you all for  
21 the work that you do.

22 DANNY GIDDINGS: Thank you. Are there any  
23 other members of the public who would like to be  
24 recognized for public comment?

25 SHANNON JEWELL: Yeah, I'm not seeing any

1 other hands raised, Danny.

2 Please remember, if you would like to make  
3 a public comment, to raise your hand.

4 DANNY GIDDINGS: All right. Seeing no  
5 hands raised, I think that we have 10 minutes left.  
6 I know that Ed has some closing remarks, and I don't  
7 know that 10 minutes is sufficient to go back and  
8 cover any of the topics that we ran out of time for.  
9 So thank you for -- both members of the public who  
10 contributed today. Thank you -- a sincere thank you  
11 to our workgroups who presented today, and to our  
12 PPDC members, members of the public who listened in  
13 and shared their views, and to all the support staff  
14 that helped us out today.

15 That's it for me. Ed, I'll turn it over  
16 to you to close us out.

17 ED MESSINA: Thank you so much, Danny, for  
18 doing a great job facilitating, and for all our  
19 behind-the-scenes folks, Shannon, for pulling all  
20 the materials together and running the show. And to  
21 our interpreters, muchas gracias.

22 So we're going to do a closing tomorrow  
23 with sort of, you know, a longer wrap-up. What I'll  
24 say today was I thought today's sessions were great.  
25 I think many of you did because I was watching the

1 participants list, and we were up to about 270  
2 people who were on the Zoom call, at least as far as  
3 I could count. The tech folks can let me know if it  
4 was more. And everyone's sort of stayed. Mostly  
5 through, you know, most of the sessions, we were at  
6 around 250. So I think it just shows the fact that,  
7 you know, people are very interested in these  
8 topics.

9 We appreciate the feedback from the PPDC  
10 to present these important topics and really  
11 appreciate the feedback provided today.

12 We have an agenda tomorrow -- you can take  
13 a look at -- and more workgroup reporting out and  
14 more discussions. I will answer some questions.  
15 I've taken some notes. Maybe we can kind of wrap up  
16 on just things I noted for today on future topics  
17 for tomorrow, and I'll mention this again.

18 I heard a potential future PPDC topic on  
19 how EPA does water quality assessments for  
20 pesticides.

21 I'm thinking we'll need maybe a deeper  
22 dive on Spanish labeling efforts. In particular, we  
23 talked about electronic labeling today and that came  
24 up.

25 I think the question about how EPA tackles

1 ecosystem reviews for ESA, I think we may put that  
2 on a future topic and sort of how we do some of the  
3 science.

4           And then, Ray, to answer your question on  
5 the contract, for those of you who aren't familiar  
6 with this, we've issued a bid for a new mission  
7 support IT contract, a five-year contract. We  
8 selected a vendor. That contract was protested and  
9 we are now in the protest phase of that contract.  
10 Possible next steps include talking with the folks  
11 that are part of that process and then selecting a  
12 vendor, whether it's a new one or the same one  
13 again, and then running that process through  
14 contract piece.

15           Once that happens, we'll get a vendor on  
16 board, and I think many of the things that -- and,  
17 Ray, you're sort of interested in -- will there be,  
18 you know, an expanded pilot -- once we get a  
19 contractor in-house, the first step is going to be  
20 doing sort of user analysis, meaning what the  
21 internal users need. There will also be external  
22 user analysis. So what do the customers of those  
23 processes need, including industry, including  
24 environmental groups, and what do people want to see  
25 once we get a better system that enables us to

1 demonstrate any metadata and/or where things are  
2 sort of in the pipeline, you know, how soon are we  
3 going to be doing an ESA review for a particular  
4 chemical and making those dashboards a little more  
5 user-friendly. So there will be a lot of  
6 coordination that needs to happen.

7           So there was a bit of a delay in our  
8 desire to implement that was, in part, because  
9 the protest, but we are working expeditiously  
10 to address those protest comments and moving  
11 towards analyzing the selection process with our  
12 Office of General Counsel and our contracting  
13 folks. So stay tuned. And once we have an  
14 announcement to make on that, we'll probably do an  
15 OPP update and let folks know kind of where we are  
16 on that. A lot of the IT upgrades and relabeling  
17 are really contingent on us having an adequate  
18 mission support contract vehicle.

19           So with that, I think we can conclude  
20 today's session. Four minutes left. We were a  
21 little behind and then caught us up, but thank  
22 you so much, everyone, on the call for spending  
23 the day with us. And we will see you tomorrow at  
24 11:00. I'm checking that with the Shannon and  
25 Danny.

1           Yeah, we'll start tomorrow. We'll do an  
2   overview of the coming events and then we'll have a  
3   number of sessions, and then I will do a wrap-up  
4   with more of a formal sort of thank you, goodbye.  
5   And then what I'd like for tomorrow for folks to  
6   think about is what are potential future PPDC topics  
7   that you would like EPA to present on, and,  
8   separately, what are some topics that you think the  
9   PPDC should have discussions around. And so if the  
10  PPDC members could come prepared tomorrow thinking  
11  of those and we'll include that in the in the wrap-  
12  up session tomorrow, and any of the future  
13  deliverables or takeaways that we need to do for  
14  housecleaning.

15           So, Shannon, over to you.

16           SHANNON JEWELL: I think that's it for  
17  today. Yeah, thank you so much, everyone, for  
18  everything you've done, Danny and the interpreters,  
19  everyone on the call. We will start back tomorrow  
20  at 11:00.

21           For all of you who are serving as  
22  panelists and all the committee members, as today,  
23  if you can join just a few minutes early, we can  
24  make sure the IT is working, then that will be  
25  really helpful. So if you can joint 15, 20 minutes



1 early, that would be great. And we'll see you all  
2 tomorrow.

3 ED MESSINA: Thanks, everyone. Take care.

4 (Day 1 adjourned.)

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25